
TRANSCRIPT OF PROCEEDINGS

The attached transcript, while an accurate recording of evidence given in the course of the hearing day, is not proofread prior to circulation and thus may contain minor errors.

2014 HAZELWOOD MINE FIRE INQUIRY

MORWELL

TUESDAY, 3 JUNE 2014

(7th day of hearing)

BEFORE:

THE HONOURABLE BERNARD TEAGUE AO - Chairman

PROFESSOR EMERITUS JOHN CATFORD - Board Member

MS SONIA PETERING - Board Member

MERRILL CORPORATION AUSTRALIA PTY LTD
4/190 Queen Street, Melbourne

Telephone: 8628 5555
Facsimile: 9642 5185

1 CHAIRMAN: Mr Rozen.

2 MR ROZEN: Good morning, Members of the Board. Could I just
3 indicate that the first witness that I will call today
4 is Dr Paul Torre, he's provided two statements to the
5 Inquiry in his role within the Environment Protection 10.04AM
6 Authority. It is intended that evidence will be led
7 from him and that he may be cross-examined depending on
8 the course of that evidence, and then, once that
9 process is completed, we'll invite Ms Claire
10 Richardson, who's the independent expert, to join 10.05AM
11 Mr Torre at the expanded witness box and then there
12 will be a concurrent session with the two of them.

13 It may be desirable to have a brief break while
14 that changeover occurs, I'm in the Board's hands as to
15 whether that would be desirable or not. Perhaps we'll 10.05AM
16 play it by ear.

17 CHAIRMAN: Yes.

18 MR ROZEN: I'll call Dr Paul Torre.

19 <PAUL TORRE, affirmed and examined:

20 MR ROZEN: Good morning, Dr Torre. For the purposes of the 10.06AM
21 transcript, can you please state your full name?---My
22 name's Paul Torre.

23 Your work address is 200 Victoria Street, Carlton?---Yes, it
24 is.

25 You hold the position of Team Leader of analysis and 10.06AM
26 predictions within the Victorian Environment Protection
27 Authority?---Yes, it's actually the Assessment and
28 Predictions Team.

29 Dr Torre, for the purposes of the Inquiry, you have made two
30 witness statements?---Yes, I have. 10.07AM

31 Can I ask you about those in turn. Firstly, you provided a

1 statement to the Inquiry, did you not, dated
2 14 May 2014?---Yes, I did.

3 Do you have a copy of the two statements, they should be in
4 the folder in front of you?---Yes.

5 Have you had an opportunity to read through the two 10.07AM
6 statements before coming to the Inquiry today?---Yes, I
7 did.

8 I think I said it was dated the 14th; I'm looking at an
9 earlier copy, I think it's 16 May, is that
10 right?---Yes. 10.07AM

11 Sorry to mislead you. Are the contents of that statement
12 true and correct?---Yes. There is one correction that
13 I'd like to have, it's in Table 3.

14 So that's page 3 of the statement?---It's the assessment
15 criteria should be micrograms per cubic metre rather 10.07AM
16 than parts per billion. I apologise for that typo.

17 Is that for all of the entries?---Yes. So wherever there is
18 parts per billion, it should be micrograms per cubic
19 metre.

20 If we start, for example, with aluminium, I won't go through 10.08AM
21 each of them, but instead of it saying 2 ppb, it should
22 say 2 micrograms?---No, Table 3. I've got 38.

23 Are we looking at the same thing, Table 3, the first entry
24 is aluminium?---Yes.

25 We've got averaging period, yearly?---Yes. 10.08AM

26 Working off the 16 May statement, Table 3, first entry,
27 aluminium, currently 38 ppb, is that right?---Yes.

28 You would change parts per billion to read microgram per
29 cubic metre?---Yes.

30 Wherever we see parts per billion, you would seek to make 10.09AM
31 that change?---Yes.

1 With those changes being made - and that's just in
2 Table 3?---Yes.
3 Is the statement otherwise true and correct?---Yes.
4 I'll tender the statement of 16 May 2014.
5 10.10AM
6 #EXHIBIT 38 - Statement of Dr Torre.
7
8 MR ROZEN: Dr Torre, before leaving that statement, and the
9 reason I say we'll leave it is because the subject
10 matter of that statement is the subject of a joint 10.10AM
11 report that you have produced with an independent
12 expert that's been retained by the Inquiry, Ms Claire
13 Richardson?---Yes.
14 So, rather than asking you as an individual about those
15 matters, we'll return to the matters that you deal with 10.10AM
16 there, the standards and the like. Before doing that
17 I'd like to ask you a little bit about your background
18 if I could, please. In paragraph 3 of that statement,
19 you say that you hold a PhD in Applied Science, Air
20 Pollution. Can you tell the Inquiry what the subject 10.11AM
21 matter of your doctorate was?---My doctorate was
22 analyses of volatile organic compounds in Melbourne
23 air.
24 You also hold a graduate Diploma in Analytic Chemistry as
25 well as a Bachelor of Science in chemistry. You 10.11AM
26 haven't attached a CV to your statement. Would it be
27 possible for you to provide that to the Inquiry
28 please?---Yes, I will.
29 In terms of your employment with the Environment Protection
30 Authority, it goes back a while to 1985?---Yes, it 10.11AM
31 does.

1 Have you held different positions within the EPA in that
2 time?---Yes, I have, several positions.

3 Would you tell us briefly what those positions have been,
4 please?---I started off as a junior scientific officer,
5 then worked as a senior scientific officer, then worked 10.12AM
6 as a Team Leader in the land and wastewater area. I
7 was then Team Leader for the Air Chemistry Group, then
8 moved over to the Air Quality Assessment Group, and
9 there's been a couple of restructures in the EPA and
10 I've come to the current role as Team Leader for 10.12AM
11 Assessments for Air Quality and Predictions.

12 You say in paragraph 2 in your statement, in your current
13 role you manage a group of scientists and technicians
14 who undertake a number of such assessments of air
15 quality; is that right?---Yes, I do. 10.12AM

16 I'll ask you a little bit about the resources that you have
17 within your group. How many full-time equivalent
18 qualified air quality specialists do you have in your
19 group?---In my team, I have three full-time air quality
20 scientists. 10.13AM

21 Is that including yourself?---I'm the fourth. We've also
22 got - in that we've also got a program leader who
23 oversees. The way it's structured is, I have got,
24 there's four in my team, we also have an Air Monitoring
25 Group where there's another five people and a couple of 10.13AM
26 contractors which is being overseen by an Air Quality
27 Program Leader.

28 Those figures that you've just given us there, that's
29 currently as at the beginning of June 2014, were they
30 the same as at 9 February when the Hazelwood Mine Fire 10.13AM
31 started or have those - - -?---No, they were the same.

1 If we go back five years, were you in the same position at
2 about the time of the Black Saturday Fires in February
3 2009? Sorry, you personally, were you managing that
4 team?---I was in a similar team, there was a little bit
5 of - yes, it was a similar team. 10.14AM

6 How do the numbers now compare to five years ago; has there
7 been a change in the numbers, either increased or
8 decreased or are they the same?---In terms of
9 concentrations?

10 In terms of the resources you have just described to the 10.14AM
11 Inquiry that are available to you, have they changed in
12 that time?---I suspect they're very close; no, I think
13 there was probably a few more people; there was
14 probably about three or four more people.

15 MEMBER CATFORD: Just to understand that, three or four five 10.14AM
16 years ago than you have now. Is that what you're
17 saying?---Yes. Sorry, I'm just trying to recall. It
18 would probably be about another three or four
19 scientists that were in the group, air quality
20 scientists that no longer have that role now. 10.15AM

21 Could I just ask, why the reduction?---Just the priorities
22 that the organisation has, the environment's got a lot
23 of challenges. Generally what we're finding is that
24 the air quality in Melbourne and Victoria, the levels
25 are reasonably good and most of the time meet the air 10.15AM
26 quality objectives. So it's looking at trying to
27 maximise our effort because there's a lot of
28 contaminated land, water, obviously the regulatory role
29 that we're doing, so it's the way that the organisation
30 restructures and reforms to meet the demands. 10.15AM

31 So, would you say you have sufficient air quality scientists

1 now?---That's a good question. Me personally?
2 Yes, personally?---I think that - we just lost one, so it
3 would be good to replace the air quality scientist. I
4 think what we're trying to do is do the best we can
5 with the resources we have. 10.16AM
6 Just one final question. Compared to, say, New South Wales,
7 would you have a similar complement of scientists in
8 Victoria?---No, New South Wales are a different - they
9 have a much greater Air Monitoring Network system and
10 they've just gone through a restructure themselves. I 10.16AM
11 suspect that they would have significantly more, just
12 because they run a larger network, but I couldn't tell
13 you off the top of my head, sorry, but yes, they would
14 be significant.
15 CHAIRMAN: Because they have significantly more industrial 10.16AM
16 areas?---Yes, and I think - - -
17 Or mining or both?---To be parochial, they've got more air
18 pollution problems than we have, especially in Sydney
19 itself, they've got quite a number of issues with
20 ozone, they've obviously got the issues with the mines 10.17AM
21 and coal, so the Hunter Valley, lower Hunter Valley,
22 and I think that that's been a key issue for them to
23 try to reduce a lot of those impacts.
24 MEMBER CATFORD: Thank you.
25 MR ROZEN: If I can turn then to the second statement that 10.17AM
26 you provided to the Inquiry, it's a statement dated
27 30 May 2014. Have you had a read through that
28 statement before coming along today?---Yes, I have.
29 Are the contents of that statement true and correct?---Yes.
30 CHAIRMAN: Do you want to include those as a separate 10.17AM
31 exhibit or part of 38?

1 MR ROZEN: I think it could be part of 38. I tender that as
2 part of exhibit 38.

3

4 #EXHIBIT 38 - (Addition) Second statement of Dr Paul Torre
5 dated 30 May 2014.

10.18AM

6 MR ROZEN: Just a bit of background to this because this is
7 one of the few unsolicited statements that have come
8 into the Inquiry, Dr Torre; you've provided this to us
9 of your own volition, is that right?---Yes, I did.

10 Can you explain to us the reason for doing that?---It was
11 really because I was at the event from the beginning,
12 in terms of from an EPA response, and it would have
13 been informative to share my experiences and get some
14 of the rationale behind some of the events, because the
15 executive team did ask me to go down to the Regional
16 Control Centre in Traralgon, I was there as a
17 scientific officer and supporting the emergency
18 response.

10.18AM

19 As you say in your second statement at paragraph 2, you've
20 given some thought to the context in which your first
21 statement dated 16 May was made to the Inquiry and
22 you'd like to set out the context of the air monitoring
23 assessment undertaken by the EPA since it first became
24 involved in response to the fire?---Yes.

10.18AM

25 Does that summarise the rationale for providing it? I
26 should indicate to you the Inquiry is grateful because
27 it wasn't immediately apparent from your first
28 statement the personal role that you had had in
29 relation to the events down here, so it's been of great
30 assistance to us to have your second statement.

10.19AM

10.19AM

31 I want to ask you some questions about your role, and you

1 may be aware that, whilst your former boss Mr Merritt
2 was in the witness box yesterday, he sent a few hand
3 balls your way about matters that he thought we might
4 be better asking you and so I'll address those too if
5 that's convenient to you, Dr Torre?---That was kind of 10.19AM
6 him.

7 Of course. There's been a bit of that going on in this
8 Inquiry so you're not alone there, Dr Torre. If we
9 start at paragraph 3 of your statement please. The
10 first day that you attended in Latrobe Valley in 10.20AM
11 relation to this matter was 12 February, so that's
12 day 3 of the fire?---Yes.

13 The Wednesday of what we're referring to as the first week.

14 Is that right, the Wednesday?---Yes.

15 How was it that you came to come down to the valley? Who 10.20AM
16 asked you to come down?---I attended the Executive
17 Management Team meeting that was actually being done at
18 Macleod, I'm based at Macleod at the Centre of
19 Environmental Science.

20 This was an EPA management team?---Yes, and they asked me 10.20AM
21 that the incident at the Morwell-Hazelwood Mine was
22 underway and they needed to get some support from EPA,
23 so they asked me to go down as a scientific officer to
24 help with the incident.

25 As you say in paragraph, the role of the science officer was 10.21AM
26 to provide scientific support to the emergency incident
27 and was rotated amongst other trained scientists at the
28 EPA as the incident continued, so you were one of
29 several scientists who fulfilled that role during the
30 course of the incident?---Yes, as a scientific officer. 10.21AM

31 In saying that, too, there was a team of scientists

1 back at Macleod providing support across whole sectors
2 of the environment.

3 Amongst other things, they were there interpreting the data
4 that was fed back to them from the various monitoring
5 stations?---Yes, and other scientists, the fresh water 10.21AM
6 scientists or contaminated ground scientists, so it was
7 very much a coordinated team approach.

8 At paragraph 4 you say something which may seem surprising
9 at first blush and I want to ask you about it, you talk
10 about your area of expertise, and then in the last line 10.21AM
11 of paragraph 4 you say, "EPA has very limited air
12 monitoring equipment for measuring air emissions from
13 emergency incidents." Would you like to expand on
14 that, please, Dr Torre?---Yes. EPA really is not, in
15 terms of the air quality program, it's not designed to 10.22AM
16 do emergency rapid response air monitoring for
17 emergency incidents. The air monitoring program is
18 more about trying to assess the impact of air quality
19 as a general issue.

20 There's projects where we try to understand the 10.22AM
21 trends of pollution, but there's also projects where we
22 might go out there and do some short-term
23 issue-specific campaign air quality assessments, and
24 monitoring's obviously a way of doing that but we try
25 to use every tool we can. We're not really geared up 10.22AM
26 for our role in this emergency response phase; we do
27 provide as much support as we can. What we do is,
28 we're not in this rapid response capability.

29 Does that mean therefore this was in your experience a
30 somewhat unusual role for you to play?---Yes. 10.23AM

31 I've been in the emergency response system for

1 several years, in terms of providing scientific advice,
2 yes. In terms of the air monitoring assessment and
3 network that we do, in terms of emergency incident,
4 yes, very unusual.

5 I know from the joint report that you've produced with 10.23AM
6 Ms Richardson that this is one of the recommendations
7 that you make, is it not, about the need to develop
8 more in the way of a rapid response capability?---Yes,
9 very much I strongly support that.

10 And that's a recommendation which we'll come back to and I 10.23AM
11 don't want to steal your thunder at this stage, but
12 that's very much informed by your experience of this
13 event; is that right?---Yes, very much.

14 At paragraph 5 of your statement you refer to it being
15 customary when responding to emergency incidents for 10.24AM
16 EPA air quality experts to conduct an initial impact
17 assessment. Can you explain to us what that means?---I
18 think it's trying to understand sort of what would be
19 the impact, where are the emissions going, what type of
20 emissions, what type of event it is and how would you 10.24AM
21 try to measure those impacts; are there any viable
22 methods that could be deployed, it depends on the
23 incident. You might turn up and it might be a chemical
24 spill and you'd be looking for vapours or, as in this
25 case here, it was a fire, so you're looking for what 10.24AM
26 are the major pollutants, what are the pollutants
27 concerned and how would you go about trying to assess
28 that.

29 Do you also need to factor in any nearby population
30 areas?---Yes, that's - - - 10.24AM

31 Goes without saying?---Yes, sorry.

1 No, that's all right?---Obviously where you're looking for,
2 you're looking for where the impacts are and, if it's
3 residential, people, it might be - sometimes it may be,
4 depending on the pollutant, it might be even a
5 catchment; you may have things drop into a catchment 10.25AM
6 that may affect it, so, yes.

7 Your initial impact assessment here told you that north and
8 northeast of the fire was the town of Morwell?---Yes.

9 And that the southern reaches of the town of Morwell were
10 very close, within several hundred metres of the 10.25AM
11 northern batters which were well and truly on fire when
12 you arrived?---Yes.

13 CHAIRMAN: Could I just qualify that by raising the query
14 whether, on the maps that we've been provided suggest
15 that it's close to 400-500 metres between the bowling 10.25AM
16 club, which of course is relevant to what you - and the
17 area that was still burning at the time that you were
18 there?---Yes.

19 MR ROZEN: Was it also part of the initial impact that the
20 town of Morwell was going to be particularly affected 10.26AM
21 by smoke from the fire dependent on the wind
22 direction?---Yes.

23 That would have been immediately apparent to you?---Yes.

24 In particular, southwesterly winds were going to potentially
25 have the greatest impact on the distribution of smoke 10.26AM
26 through Morwell?---Yes. Can I just add on that, when I
27 did drive down that weekend, I drove down on the 12th,
28 the Wednesday, there was quite a lot of smoke impact;
29 the East Gippsland bushfires were blowing smoke across
30 the southern part of Victoria where the bushfires, be 10.26AM
31 it Bendigo, northern parts of Melbourne, so there was

1 quite a lot of smoke around and I distinctly remember
2 driving through Yarragon and other towns, just the
3 saturation of smoke, you know, the visibility was poor.

4 We'd already been alerted to the general bushfires
5 because our air quality forecasting team were actually 10.27AM
6 looking at satellite photos and you can actually see
7 the size of the plume and the amount of smoke, so on
8 the 11th we were already starting to think of, issuing
9 advisories following the processes, so pretty much
10 evident in terms of, there's smoke everywhere. 10.27AM

11 So whatever smoke was coming out of the mine was over and
12 above the general level of smoke that might have been
13 present in the region?---Yes.

14 What was your initial assessment of the level of smoke in
15 the town of Morwell when you arrived? Because we've 10.27AM
16 heard differing views about that during the course of
17 the Inquiry; you're on-the-spot, what was your
18 assessment?---Yes, there was a lot of smoke around but
19 it was - at the time I thought it was difficult to
20 distinguish between the background smoke and the mine 10.27AM
21 smoke. I recall, I think the winds were mainly an
22 easterly wind. I could see smoke coming from the mine
23 but there was generally smoke around the place.

24 I should probably have taken you to this at paragraph 8 of
25 your statement, you do talk about the assessments you'd 10.28AM
26 made before coming to Morwell - that is, on the 10th
27 and the 11th and your awareness of the general poor
28 quality of the air and the smoke advisories. The
29 aerial resources you make reference to, and I think you
30 just told us there that EPA has the ability to examine 10.28AM
31 smoke plumes. Can you tell us a little about what that

1 facility is that you're talking about?---That's
2 generally available to everyone, they're satellite
3 images that you can download, and we look at that as a
4 way of trying to understand the impact across a large
5 area. It really, not only does it give you an 10.28AM
6 understanding of the spatial variability of the impact,
7 but it also gives you an understanding of the intensity
8 of the smoke, because some of these plumes you can see,
9 they look likely enormous clouds and that provides us
10 the information for the forecasters with measurements 10.29AM
11 and observations to put some context about those
12 impacts.

13 At paragraph 8 of your statement, you describe your
14 immediate assessment that you made, and I take it that
15 was made after you - did you go and have a look at the 10.29AM
16 mine?---I stood at the side of the road, we drove
17 around. We had a look at the mine, I did drive around
18 to the back of the mine just to see whether there was
19 any more smoke going west of the mine and also south of
20 the mine, just to try to get - I could see the plumes 10.29AM
21 coming out. I think the thing that struck me the most
22 was how big the mine was and the smoke coming out.

23 I think you wouldn't be alone in this room in having reached
24 that view once you had a look at the mine, but also the
25 amount of smoke coming out of the fire, and it was 10.29AM
26 apparent to you, I take it, that there was fire burning
27 in several areas of the mine?---Yes, you could see
28 different plumes and you could see the smoke dispersing
29 away.

30 Were you alone in making this assessment or were you part of 10.30AM
31 a group of people?---No, I consult with the team. I

1 think one of the things about trying to undertake an
2 air monitoring program is to consult and try to get as
3 much resource available, and so the night before we
4 started to think about, well, if we need to be
5 mobilising and we need to get an assessment, what's the 10.30AM
6 best way to start mobilising and deploying equipment
7 for monitoring, so we started a whole series of events.

8 With the emergency response events you tend to go
9 to rapid mobile monitoring systems you can apply close
10 to an incident, so we started to try to obtain or 10.30AM
11 purchase or rent an instrument that will be able to
12 give us - because we knew it was smoke, we needed to
13 measure particles, the focus being on PM 2.5 because it
14 penetrates in our lungs, affects our health et cetera,
15 so that was the main focus, how can we get monitors 10.31AM
16 down there to understand the impacts.

17 I think what's important too is the level of smoke
18 around the place and the advisories and people
19 understanding, hopefully through communications, that
20 smoke is evident and we need to take account of those 10.31AM
21 potential impacts.

22 So it was all about, how do we mobilise.
23 Fortunately what happened was we were in the process of
24 putting in a particular monitoring, the measure being
25 2.5 in Traralgon - - - 10.31AM

26 Can I just stop you there. Up until that time the monitor
27 at Traralgon had only monitored PM 10, is that
28 correct?---Yes.

29 So you were in the process of upgrading that, were
30 you?---Yes. 10.31AM

31 When was that intended to take effect - that is, that the

1 Traralgon monitor would have the capacity to monitor
2 2.5 as well as PM 10?---Yes, that was in that week or
3 so I believe. We were working towards putting in a
4 PM 2.5 monitor in Traralgon.

5 What does that involve logistically? Is it augmenting the 10.32AM
6 existing equipment or is it putting in new
7 equipment?---No, it's putting in new equipment, putting
8 in the shelves, feeding that in. One of the challenges
9 is making sure the data acquisition system - so the
10 instrument measures the pollutant, it then transfers 10.32AM
11 that measurement into a system that's able to collect
12 it and then transmit that to a computer so then we can
13 take the data, or eventually we can either put it on
14 our website and analyse the data, so you've got that
15 continual stream of data. 10.32AM

16 I think I cut you off, you told us that one of the things
17 you were aware of as part of your assessment before
18 coming to Morwell and once you got here was that there
19 was steps in train to upgrade the Traralgon monitoring
20 equipment so that it could measure PM 2.5?---Yes. We 10.33AM
21 were thinking about, well, how do we - trying to access
22 equipment to go down there, what's the best way to
23 start operating, so the monitoring team were looking at
24 all those options and that option was one that was
25 available to us. 10.33AM

26 CHAIRMAN: Are you coming back to this question of the
27 Tasmanian materials?

28 MR ROZEN: I was about to go there but now would be a good
29 time.

30 CHAIRMAN: You ask your questions and I'll add to them if 10.33AM
31 necessary.

1 MR ROZEN: You mention at paragraph 9 of your statement that
2 the science team in Melbourne had organised the hire of
3 some equipment. Do you want to just expand on that;
4 what equipment was sought? You refer to the DustTrak
5 equipment, can you tell us a little bit about DustTrak 10.33AM
6 equipment, please?---DustTrak equipment is a device
7 that uses a light scattering measurement technique,
8 where basically the air from the atmosphere goes into
9 it, a light measures the amounts of light that the
10 detector can read, and that's basically proportionate 10.34AM
11 to the light scattering, to the amount of particles in
12 the atmosphere. So there's a slice selective inlet so
13 it basically cuts off particles that are PM 2.5, it
14 goes into the detector as a response that is related to
15 that light measurement. 10.34AM

16 There's a couple of factors that it's really good
17 at, it's portable. This particular system has also got
18 an ability to log and send data remotely, and it gives
19 you that ability to be able to apply it where we need.

20 There's also a lot of work done in Tasmania. The 10.34AM
21 reason that we actually contacted Tasmania was that the
22 Tasmanian EPA had done quite a lot of work in this area
23 using DustTraks for smoke. It's an area, what we call
24 a mono-pollutant area; that you've got one source of
25 smoke. You can get the instrument, even though it's 10.35AM
26 not directly for particles, you could come up with a
27 measurement that estimates PM 2.5.

28 CHAIRMAN: Can I enquire as to the reason why Tasmania would
29 decide to spend the money in getting that kind of
30 equipment?---I think it's part of their Air Monitoring 10.35AM
31 Network. The Tasmanians decided, which is right, is

1 that their main pollutant is smoke, smoke from wood
2 heaters and burning from bush, so they needed a network
3 where they could cover those places in other parts of
4 Tasmania that could do that monitoring. What they did
5 find was that, because smoke is a prevalent pollutant, 10.35AM
6 they're able to use these more portable instruments
7 rather than the conventional Air Monitoring Network to
8 come up with - they do a whole lot of calibrations.

9 So, when you do air monitoring for an Air
10 Monitoring Network you've got to make sure you meet 10.36AM
11 certain standards, and even though this piece of
12 equipment isn't a standard method, they were able to
13 demonstrate scientifically that it was sound enough for
14 their Air Monitoring Network, and for their needs it
15 suited their requirements. So DustTrak - I mean for us 10.36AM
16 it's about, where can we get a piece of equipment as
17 soon as possible that we can deploy.

18 I was going to ask you then about the traffic blanket, but
19 finish off what you were about to say?---We went around
20 as many places as we could, we could only get one 10.36AM
21 DustTrak to begin with, we ring around and get a second
22 DustTrak later on, we were looking for any type of
23 instrument that we could use that our guys were
24 comfortable with.

25 The travel blanket - I think a blanket is a very 10.36AM
26 nice name - something to talk about the baseline
27 ambient network of Tasmanian EPA; something "T". The
28 travel blanket is, because this device is mobile, the
29 guy that created the system called it, it's a travel
30 blanket, because it's the same instrument that they use 10.37AM
31 in their blanket network. So what they've done is,

1 they've got a blanket network at the top of Tasmania
2 and other areas to monitor these smoke impacts, and so
3 Dr John Innis from the Tasmanian EPA had come up with
4 this portable device you can put in a car and drive
5 around and look at smoke.

10.37AM

6 What it would do is, it would go into areas where
7 there would be a lot of wood heaters in small towns and
8 demonstrate the impact of smoke, the way people were
9 burning the heaters. So he came up with a way of
10 visually illustrating those concentrations.

10.37AM

11 There's limitations in the equipment in terms of
12 the measurement and what you get out of it, but they do
13 provide you an indication of the level of particles for
14 a short period of time, doesn't meet a standard, but it
15 also gives you a good understanding of how the smoke's
16 travelling, where it is, and you can see in gullies the
17 way it gets trapped. So it was a good way of
18 illustrating that and it was a way of trying to talk to
19 residents about the way they were burning heaters and
20 providing the evidence to change behaviours to get
21 better air quality impacts.

10.37AM

10.38AM

22 MR ROZEN: It's probably just me, but the reference to the
23 blanket, I think we all understand the travel idea,
24 that it's portable, sticks out of a car and you go
25 around. The reference to blanket?---It's the acronym,
26 it's Dr John Innis who created this acronym, I can't
27 remember exactly, it's something to do with baseline
28 air network of, that's the "K", EPA Tasmania.

10.38AM

29 You've helped me solve one mystery, Dr Torre, and we're very
30 grateful for that?---Really what's interesting was when
31 John first came along, he came into the air monitoring

10.38AM

1 game a few years ago, I actually got an email from him
2 when they established the blanket saying that our smoke
3 from Victoria as impacting on Tasmania, what are you
4 doing about it? I said, we'd like to share our
5 resources with you. So the blanket, it's been a very - 10.39AM
6 I've been very impressed with the system he's developed
7 down there.

8 I take it that both DustTrak equipment and the travel
9 blanket were of considerable assistance to you in
10 fulfilling your role?---Yes. I contacted John on the 10.39AM
11 way down, so on the way down we hired a DustTrak, we
12 needed to understand what sort of calibration figures
13 we needed to adjust the instrument to give us
14 something, gave us estimates of PM 2.5, and John
15 straight away said, yes. So we started having John in 10.39AM
16 the loop on that first day.

17 This is the gentleman from EPA Tasmania?---Yes.

18 Can you give us ballpark figures, what sort of money are we
19 talking about if one wanted to buy just DustTrak
20 monitor, one DustTrak monitor that you used? Give us 10.39AM
21 an idea of what we're talking about?---I'm not sure.
22 About \$5,000 to \$10,000, \$10,000 maybe, \$15,000.

23 Sorry, I don't get into purchases of equipment, but I
24 think it's in that order. I think that that's the idea
25 about DustTrak system, whether it's - when you get the 10.40AM
26 fully blown system it may be \$20,000-odd, I'm not sure,
27 but it gives you the ability to have a number of
28 sensors so you can get that spatial variation, so it's
29 portable, low cost - actually it might be less than
30 \$10,000, I'm not sure - relative to a standard ambient 10.40AM
31 air monitor.

1 We've heard some references, Mr Merritt yesterday was
2 talking about the need to get indicative data which may
3 be less than perfect to inform the initial stages of
4 the emergency response. Can you explain to us what
5 that means, what's the difference, what is indicative 10.40AM
6 data, what's the difference from - what's it contrasted
7 with in terms of more reliable data?---In an emergency
8 event it's really about trying to get an indication of
9 what the levels are, how is the incident going, how can
10 we stop those emissions and control it. 10.41AM

11 So the indicative data is basically a measurement
12 which is not a standard measure used for the
13 conventional ambient air quality, doesn't meet the high
14 standard, but there's enough information and
15 correlation to put the equipment together to come up 10.41AM
16 with a way that they're very close, so there's kind of
17 like an uncertainty, so you adjust the data to give you
18 estimates of PM 2.5 rather than using that conventional
19 method.

20 Drawing on your training experience, you're confident that 10.41AM
21 the DustTrak equipment, once installed at Morwell
22 South, was providing data that was accurate enough for
23 it to inform their response by the emergency
24 personnel?---One of the challenges of the DustTrak
25 data, it did give us information, it supported what we 10.41AM
26 were seeing, high levels of particles.

27 One of the challenges with the DustTrak data was
28 that the calibrations that the Tasmanians had done was
29 with wood smoke and we were still wanting to get a
30 little bit more calibration in terms of, is the coal 10.42AM
31 particles reacting to this incident the same as wood

1 smoke, but it did provide very good information because
2 we could use that against other similar measurement
3 like the visibility reduction.

4 So we've got a number of different monitors that
5 we use and what our guys are very good at is doing 10.42AM
6 statistical analysis to come up with that indicative
7 data.

8 You raised something which I was going to come to and I'll
9 do it now and that is, the challenge that you faced in
10 dealing with coal smoke as compared to bushfire smoke, 10.42AM
11 and of course in Victoria there are quite
12 well-established protocols for the measurement of
13 bushfire smoke, and you refer to those in your
14 statement. What are the differences between the smoke
15 that was coming out of the mine fire as compared to 10.42AM
16 bushfire smoke?---When I refer the difference in this
17 particular situation it's more to do with the way the
18 instrument is actually responding relative to the
19 standard method of monitoring. There would be
20 differences in terms of some of the combustion 10.43AM
21 products, but generally what we tend to look for is the
22 major pollutants of concern; so we're looking for
23 particles.

24 And those particles are present in both bushfire smoke and
25 coal mine smoke?---All combustion. 10.43AM

26 Paragraph 19 of your statement, you tell us that you
27 confirmed on the 13th, so on the second day you were in
28 Morwell, that the bowling club was an appropriate
29 location to install DustTrak monitor. Can you explain
30 to us your rationale for using the bowling club?---We 10.43AM
31 wanted a station that was going to give us high

1 concentration, high impact area which was going to be
2 representative of the community and residential area in
3 there, but we also needed a spot which was generally
4 open, this is just common conventional air monitoring.
5 SO the idea was to give us something that's close to 10.44AM
6 the residents, that's close to the mine, it's open and
7 gives us a general representation of those high impact
8 areas.

9 The map of Morwell has come up there and the bowling club is
10 at the end of Hazelwood Road, that's about the 10.44AM
11 location, isn't it?---Yes.

12 We can just see from looking at that map why you thought
13 that was an appropriate location given that the mine is
14 just south of that position on the other side of the
15 freeway?---Yes. 10.44AM

16 As you say in paragraph 19, it was just about as close to
17 the fire as it was possible to have a monitoring site
18 as there was an available tract of land next door.
19 What sort of land area do you need to set up equipment
20 like that in?---It really depends on what you're trying 10.45AM
21 to do. We're trying to get something that's
22 representative, something that's really open, like the
23 bowling green was really good. We like to go to places
24 like open football grounds or spaces like that, because
25 one of the factors is, you're trying to get a general 10.45AM
26 representation of that area and when you're in sort of
27 in located spots, you may be not getting that general
28 representative area, so a football ground is commonly
29 used, even a bowling green like that is really good for
30 us. 10.45AM

31 Probably a dumb question, but does the equipment need to be

1 in an elevated position to take readings?---Yes,
2 there's a standard height that it comes into, so it's
3 generally just below breathing zone, so it's just
4 deployed that way.

5 One last question about DustTrak equipment. It was 10.45AM
6 obviously capable of measuring PM 2.5 and PM 10 I think
7 you've told us, is that right, or just PM 2.5?---No,
8 just PM 2.5.

9 What about PM 1.0 - that is, even smaller particles?---Well,
10 normally there is PM 1, there's ultrafines, there's a 10.46AM
11 whole lot of different particles. No, we focus on
12 PM 2.5 because it can be readily measured, there's
13 advisory standards, there's a lot of research on health
14 impacts, there's equipment that's readily available and
15 portable and those lower particles are part of that 10.46AM
16 PM 2.5.

17 MEMBER PETERING: Dr Torre, your statement just then was
18 that there's very well-known health impacts on PM 2.5.
19 How long has that been well-known and what's the source
20 of that data?---Just looking at the research, overseas 10.46AM
21 there's been quite a number - recently in 2013 there
22 was quite a big study done and an overview done in
23 Europe and I think it's in America looking at the
24 impacts of PM 2.5, there's been quite a lot of stuff
25 done - this is not my area of expertise but quite a lot 10.47AM
26 of epidemiological studies done on, yearly data on
27 PM 2.5 and a lot of the work done is focused on PM 2.5.

28 So it is quite common knowledge that PM 2.5 is a health
29 risk; it impacts people's lives?---It depends. PM 2.5,
30 it's like most pollutants, we all have different 10.47AM
31 sensitivities at different concentration, and the

1 literature's all over the place in terms of how it
2 affects people and you've got sensitive people who are
3 ill or people who are young so there's a number of
4 different ways and it can affect it, and for healthy
5 people, there's just different sensitivities. But 10.47AM
6 there is sufficient to say it does affect people's
7 health.

8 MR ROZEN: The recent report that you referred to, is that
9 the one that you draw our attention to in your first
10 statement, the review of evidence on health aspects of 10.48AM
11 air pollution?---Yes.

12 That's in paragraph 22, we don't need to go to that, but
13 that's the reference that you're talking about?---Yes,
14 and there's also a Senate Inquiry recently on looking
15 at particles at PM 2.5. 10.48AM

16 The other pollutant I want to ask you about is carbon
17 monoxide. You make reference in paragraph 14 of your
18 second statement to becoming aware on the 12th, on the
19 first day that you were here, of some reported carbon
20 monoxide readings from the mine. You say that on the 10.48AM
21 basis of that you advised your science team to also
22 hire some handheld carbon monoxide monitors and to
23 identify portable carbon monoxide equipment?---Yes. So
24 we needed to understand, if there was going to be any
25 dispersion into the town, so just try to get as much 10.48AM
26 equipment as we can. Ideally we were looking also for,
27 if possible, any carbon monoxide analysers, a bit like
28 analyser that you may use like a DustTrak, something
29 that's portable, that can average the results, that can
30 transmit the results to be used for data analysis. But 10.49AM
31 we didn't have any luck in that space.

1 Firstly, you obviously looked to resources the EPA might
2 itself have had, and I take it you didn't have any of
3 that sort?---No. Like I say, our air monitoring
4 program is pretty much focused on our air Monitoring
5 Network and we do have standard monitors that we use to 10.49AM
6 assist with any air quality objectives.
7 You were able to access some handheld CO monitors, were you
8 not?---Yes.
9 That was over and above the equipment that the CFA and the
10 MFB were using at the mine; is that right?---Yes. So 10.49AM
11 the CFA have got their own system for their
12 Occupational Health and Safety, they've got a system
13 called an Area RAE System.
14 That's Area R-A-E?---Yes, R-A-E, that's the brand name.
15 It's a really useful system in that it's able to - a 10.50AM
16 number of satellite detectors and they've got a polling
17 computer in the middle and that sends it back to that
18 computer and you can see the concentration, and they
19 were using that in the mine at various places to
20 understand the levels of CO. 10.50AM
21 That their firefighters were being exposed
22 to?---Firefighters and they had one also, I think from
23 memory, at the security guard, when you come into the
24 staging area, they had one out there too, I believe.
25 So they had them located around the place. 10.50AM
26 You gave them some advice or made a recommendation to them
27 about where one such monitor could be located. Can you
28 explain why you gave that advice?---On the 13th I went
29 down to the staging area down at the - - -
30 We'll just get a map of the mine up, that might assist you. 10.51AM
31 The staging area was near the power station, was it

1 not, near the main gate? Is that right?---No in the
2 early pieces the staging area was actually near the
3 mine itself.

4 Are you able to identify, looking at that, the general area
5 we're talking about?---I think it might have been 10.51AM
6 somewhere there.

7 So you're pointing to the northern part of the mine?---Yes,
8 there was an initial staging, and the CFA can correct
9 me; from memory, because you sort of drive in, but it
10 was very close to the mine, so I could actually walk on 10.51AM
11 the edge of the mine, 30-40 metres at the top here
12 somewhere.

13 CHAIRMAN: I suggest that we might use the map that's now
14 been prepared by GDF.

15 MR ROZEN: We don't have it on the system. 10.52AM

16 CHAIRMAN: I don't think we have it electronic form, but at
17 least it does have a grid from A-B and 1-16. If we
18 just have you give the grid reference?---I suppose it
19 looks like that spot where it says "Fire Service", the
20 green dot. 10.52AM

21 MR ROZEN: "Fire Service" and "RTL", is that what you're
22 referring to?---I think so.

23 Is it the green dot above the word "service" or under the
24 letter "C"? Can you be that precise.

25 CHAIRMAN: It's roughly L5 anyway?---Yes, sorry. 10.52AM

26 MR ROZEN: That's all right. Thank you, Dr Torre. Is that
27 the location that you refer to in paragraph 17 of your
28 statement as being a place where the Area RAE monitor
29 should be located? I'm just trying to make a
30 connection between that location and what you're 10.53AM
31 talking about?---Sorry, that location was where the

1 staging area was where I first saw the Area RAEs. So
2 when I got to that staging area that's where the
3 firefighters were coming in and getting their CO
4 testing and they were actually going down to fight it.

5 When I went in there that morning they had a 10.53AM
6 number of Area RAEs that weren't being used. Because
7 it's a manual system - sorry, I'm going back to explain
8 what I was doing.

9 Sure?---They have a manual system where they have a
10 technician or a firefighter that actually monitors the 10.53AM
11 concentration of CO so that when they've got different
12 sites around the mine they can understand those
13 concentrations and then take action as the levels
14 increase.

15 They had a number of Area RAEs that weren't being 10.54AM
16 used, so at the time I asked the Commander in charge,
17 and the MFB scientific officer, Craig Tonkins(?), if it
18 would be possible to actually deploy some of those Area
19 RAEs that weren't being used for various reasons - you
20 know, there was problems with smoke and vehicles and 10.54AM
21 transmission of data, if they could deploy them around
22 some of the spots around the perimeter of the mine,
23 just to give us an indication if we were getting any
24 plumes of carbon monoxide from the mine to the
25 township. 10.54AM

26 So you were looking at a way of using equipment that they
27 brought down to deal with firefighting safety as a way
28 of monitoring for the community?---And we do that in
29 emergency response incidents, we collaborate. The
30 scientific officers and the Fire Brigade at an incident 10.54AM
31 we all work together and it would not be uncommon to

1 work with the Fire Brigade to try and understand impact
2 assessment. Sometimes it's even the Fire Brigade are
3 used to identify dust that we don't know, so it's
4 always working together to try to use the resources the
5 best way.

10.55AM

6 At paragraph 17 of your statement you say you liaised with
7 the CFA, recommended that the Area RAEs be
8 strategically placed, one at the mine perimeter to
9 enable worst-case scenario readings. Does that mean
10 that there was one unit placed or several?---I left it
11 to the Fire Brigade. I just said, if you can deploy
12 monitors out there. Because one of the things that you
13 need to do when you deploy the Area RAE, you've got to
14 make sure that it's in a location where it can send the
15 signal back to the polling computer, so there's a
16 limitation distance. So they need to determine that,
17 but the point is, if they know the objective, it's
18 trying to get an understanding of the smoke coming off
19 the site, then they applied that.

10.55AM

10.55AM

20 What I was talking to them about was we didn't
21 have any monitors that we could do that in Morwell
22 because we were doing some spot checks, because at the
23 time we thought that the carbon monoxide was confined
24 to the actual mine.

10.56AM

25 But you wanted to do some monitoring to see?---As a
26 precaution.

10.56AM

27 Are you able, by reference to the gridded map that's in
28 front of you to indicate where the Area RAEs were
29 placed after that discussion?---No. No, because by
30 that time I had left the site and gone to try to find
31 the bowling club to actually to start to deploy

10.56AM

1 DustTrak.

2 Okay, I understand. Paragraph 23 is in relation to carbon
3 monoxide monitoring, you refer to the use of handheld
4 monitors at specific locations. I take it that's on
5 13 February, the second day you were there?---Yes. 10.56AM

6 Where did that equipment come from to enable that monitoring
7 to be done?---We hired that equipment from a company
8 that specialises in occupational health and safety
9 monitoring called Air-Met Scientific, and they provided
10 these two monitors that people wear for monitoring CO 10.57AM
11 in the workplace.

12 So they were used by EPA officers?---Yes. The idea there
13 was, we had put people in the field that could go out
14 there and do some spot tests just to give us an
15 indication of what the CO measurements were. 10.57AM

16 You chose the facilities that you've identified there
17 because that's where particularly vulnerable groups
18 would be?---The general advice is, try to select areas
19 where - we had those sensitive residents, but also
20 general areas where people are just to give us an idea, 10.57AM
21 but it was important to make sure that it was over that
22 area, so over a large area so we can get an indication
23 of spatial variation, so pretty much left it to the
24 field people to go out there and start doing some
25 measurements. 10.57AM

26 Do you know if the readings, the records of those
27 measurements, have been provided to the Inquiry, those
28 carbon monoxide readings?---I don't think so, I'm not
29 sure. I'll have to refer.

30 If you could please, yes. At paragraph 24 you say that 10.58AM
31 those initial steps that you'd taken - that is, the

1 installation of the DustTrak at the bowling club, the
2 carbon monoxide monitoring that was being done with the
3 handheld monitors and the use of the Area RAE equipment
4 at the mine, enabled you to put together a preliminary
5 picture of air quality in Morwell. What did the
6 preliminary picture look like?---It is also worth
7 adding that we were also commissioning the Morwell East
8 monitoring station.

10.58AM

9 Yes. Tell us about that?---Generally the approach was to
10 have a three-tiered approach in terms of trying to do
11 air quality. We wanted to have something that focused
12 on the high impact that gave us a fixed site that gave
13 us the amount of particles. We also wanted something
14 that was mobile, if we could, just to understand the
15 extent, are we looking at the right pollutants, but we
16 also needed to have something, which I suppose has been
17 debated, about Morwell East, because we wanted
18 something that was going to give us an understanding of
19 general concentrations in the general Morwell area
20 where most of the people were as well, so we needed it
21 to get that full picture.

10.58AM

10.59AM

10.59AM

22 You identified that the recently decommissioned site at
23 Morwell East could be re-commissioned to assist you; is
24 that right?---Yes. That was there. Once the team had
25 identified it and thought that was the best, the
26 quickest way we could get equipment in to do the
27 monitor, they went ahead and did that.

10.59AM

28 We weren't getting CO, I mean the focus was very
29 much on particles, there was advisories there, and it's
30 all about smoke and the advisories trying to get
31 people's attention that smoke, elevated levels of

10.59AM

1 smoke, the less you can see in the distance, the higher
2 the levels of particles are like, the more smoke there
3 is, you need to take that into account, precaution, so
4 particularly the advisories in the information was key,
5 as well as the monitoring; because, one of the issues 11.00AM
6 about monitoring, you can't monitor everywhere, so we
7 need to be cognisant of smoke and potential impacts.

8 You refer in a couple of places, and I'm talking about
9 carbon monoxide, to there being no elevated readings or
10 significant readings of carbon monoxide. What do those 11.00AM
11 terms mean? Against what standard? What were you
12 judging the carbon monoxide levels against?---We were
13 actually - we weren't really using a standard, it was
14 really an exploratory number. We were trying to work
15 out if there was carbon monoxide, what levels they 11.01AM
16 were. What we did find was, there was very little,
17 you'd either get 1 or 2 ppm, occasionally we would get
18 15 ppm, but it would be instantaneous, so you would get
19 a reading and it would be gone. So it was more about
20 trying to understand. 11.01AM

21 In an emergency incident it's really about, what
22 are the levels, how can we stop those emissions getting
23 to those levels, so indicative numbers that we can try
24 to work with.

25 I think I may have cut you off, you started telling us about 11.01AM
26 that preliminary picture that was emerging. Focusing
27 on PM 2.5, what were the initial readings that you were
28 getting from the DustTrak telling you about the general
29 level of PM 2.5 at the bowling club?---Yes, they were
30 elevated. I think the numbers, we were still trying to 11.01AM
31 digest the numbers and we were waiting for the Morwell

1 East data to come along. We were seeing some impacts.
2 I think during that period of time I think the impacts
3 might have been more from the bushfires because I think
4 there were easterlies - from memory, easterlies and
5 northeasterlies, so we were seeing smoke that day. 11.02AM
6 Those early records, the records from the DustTrak
7 monitoring that occurred at the Morwell South bowling
8 club, do you know if those records have been provided
9 to the Inquiry?---I believe so. So DustTrak data is
10 what we call estimated PM 2.5s and they should have 11.02AM
11 been, I believe, reported. Or we can always...
12 We're just checking, there's a bit of a degree of confusion
13 about where that material is and the form that it's in,
14 but your understanding is, it's been provided to the
15 Inquiry?---I believe so. 11.03AM
16 We'll further investigate.
17 MEMBER CATFORD: I wonder if I can just ask: In terms of
18 those early PM 2.5 readings, you said they were
19 elevated, can you, from memory, give us a bit more
20 information? Of course this is terribly important in 11.03AM
21 terms of any consequential health advice to the
22 community. We understand what the levels were from
23 around 20 February, but it's these early periods when
24 the fire was very intense in terms of those PM 2.5
25 readings, and particularly whether you were passing on 11.04AM
26 information to the Department of Health?---We had an
27 event, I believe, on the 13th that we put down to - but
28 that was for Morwell East - Traralgon from the
29 bushfires. The elevated levels, the really high ones
30 from the mine were on the 15th and 16th, they were the 11.04AM
31 two days where we really had elevated levels, really

1 high.

2 Sorry, in South Morwell?---South Morwell; oh ashes across

3 the - yes, South Morwell, but we also got - - -

4 Because I don't think we've seen those figures yet?---So

5 those levels are what we call the estimated levels. 11.04AM

6 And those were passed on at the time as well, were

7 they?---Now, at the time that data, we were still in

8 the process of trying to understand that correlation

9 and those concentrations. The data that we did - what

10 we were saying was about alerts, about the relative 11.05AM

11 concentrations at Morwell East. With Morwell South,

12 the only data that we could do in terms of correlating

13 that was to give an indication of what the levels were,

14 that was on the Sunday night on the 16th where the

15 levels at Morwell East were around about two and a half 11.05AM

16 to three times higher than - the levels of Morwell

17 South were higher than Morwell East, and so that gave

18 an indicative number of about 250 micrograms per cubic

19 metre, just using the Morwell East data.

20 We've gone back and - we didn't have the data at 11.05AM

21 the time, so we'd obviously given some information to

22 the Department of Health about the likely levels, that

23 the levels were high, well above the advisory reporting

24 standard, but they were indicative numbers. So since

25 that we've gone back and tried to, what we call 11.06AM

26 hindcast, go back, use the correlation data, what did

27 it show, but at that time we didn't have that data,

28 apart from those indicative numbers.

29 If DustTrak equipment had been available and essentially

30 assessed, validated, am I right in thinking you could 11.06AM

31 in theory have produced more reliable PM 2.5 results

1 sooner, could you?---Yes, we deployed it as quick as we
2 could. I mean, ideally, and this is the thing I was
3 talking about before about having that capacity to have
4 that rapid response, having the systems in place so
5 that, when you do put them out, you can automatically 11.06AM
6 have that confidence in the data. So we were at that
7 stage really trying to get that instrument operating,
8 trying to understand those estimates, provide an
9 indication of those levels.

10 MEMBER PETERING: Mr Torre, yesterday Mr Merritt spoke 11.07AM
11 around relying upon your educated and experienced view
12 around driving down to Morwell and just, I think his
13 words were, "Visibility assessment" and just having a
14 look around the area. We're talking at the moment
15 about the data collection. Do you provide a 11.07AM
16 qualitative professional opinion about what the air
17 quality is and whether there's any health
18 impacts?---Generally what we do is, we work within the
19 conventions and methods that we have. So, with smoke
20 we have a bushfire smoke protocol, and in that on our 11.07AM
21 website in the Department of Health we work on that
22 using landmarks to try to give an indication of
23 potential hazards.

24 On that Sunday when I did come down, it was around
25 about 5 o'clock, the visibility was down to, oh, less 11.07AM
26 than a kilometre. We've got a table that sort of
27 guides people in terms of trying to understand those
28 levels, and it was at levels where, if you look at the
29 categories, it's called "hazardous"; that's very high
30 levels. 11.08AM

31 So, yes, in terms of - I mean, I think it's pretty

1 obvious when you've got a big air quality impact. To
2 be honest, I'd been to the mine on that Thursday
3 morning and on that Sunday driving down, that was
4 unprecedented, just unexpected in terms of the level of
5 smoke that was in that mine on the Thursday compared to 11.08AM
6 that Sunday.

7 So did you then provide a report by the two EPA? So just
8 tell me about the chain of communication to the
9 Department of Health?---There's been a lot of work
10 being done on that weekend with the Department of 11.08AM
11 Health. There was the Saturday, I suppose you'll
12 probably go through, you were talking about that
13 before?

14 MR ROZEN: You go ahead, Dr Torre?---Just developing. Once
15 the - I mean, it was so unexpected the smoke and the 11.09AM
16 impacts, especially when CO monitors were starting to
17 read around the place about the high carbon monoxide
18 concentrations. We were working with the Department of
19 Health who were trying to work along a protocol, trying
20 to understand and develop that Carbon Monoxide Protocol 11.09AM
21 in terms of triggers in an emergency. So when I got
22 involved at the State Control Centre, I was trying to
23 support the Department of Health in developing that
24 protocol.

25 My role there was to provide any sort of advice in 11.09AM
26 terms of exposure or potential monitoring requirements
27 or assessment. By that time, in terms of the
28 monitoring, it was about trying to develop the best way
29 we could to monitor levels of carbon monoxide because
30 of the focuses on carbon monoxide, so we started to 11.10AM
31 talk to the Fire Brigade about trying to get a carbon

1 monoxide network in Morwell South, and that's Commander
2 O'Connell over the phone to try to talk about, well,
3 you've got your Area RAEs, you can deploy them to give
4 this indication to help us to work towards being
5 prepared for this protocols to provide the data. 11.10AM

6 So during that night on the 15th the Fire Brigade
7 went out and started to try to put out that carbon
8 monoxide network and that progressed into the next day
9 and the Sunday. On the Sunday in terms of providing
10 data, when I got down there about 5.30-6. 11.10AM

11 This is Sunday the 16th you're talking about?---16th, when I
12 saw the smoke, just couldn't believe it, because
13 visibility was well below at that point.

14 MEMBER CATFORD: Based on your experience, what sort of
15 levels PM 2.5 would have been produced to cause that 11.11AM
16 dense smoke?---I think we're estimating could be 500,
17 700, it's very high.

18 MR ROZEN: This is against a standard of 25
19 milligrams?---I'm saying it would probably be, at the
20 time it's very low, I don't know, you know, we're 11.11AM
21 talking 250, 500, I'm not sure. I mean, I've never
22 seen anything like this before so I'm really guessing
23 but, you know, 200, 300. Looking at some of the stuff
24 that was coming from Morwell East, comparing the
25 visibility data from DustTrak to that, at the time the 11.11AM
26 advice we gave to the Department of Health was, it was
27 three times higher, Morwell East was really on a
28 24-hour rolling average, was 85; to that effect,
29 multiply that by three so we're in that order of 250,
30 that's where our estimate - but it was pretty high. 11.11AM

31 And I drove into Morwell as well, just to see how far

1 the smoke had gone and it was definitely obviously
2 higher closer to the mine, but it's still pretty strong
3 in Morwell itself.

4 MEMBER CATFORD: Just to summarise, it sounds like we should
5 be able to get some indicative data for

11.12AM

6 15-16 February?---Yes, we've done an estimate. I think
7 one of the things about these incidents, it's really
8 important to go back there, look at the data, what can
9 we learn from it, how can that inform health studies
10 because it's really important to understand this, and
11 if there's a gap of knowledge and this helps it, I
12 think we do that, even though they're only estimates,
13 and I know statisticians have a lot of arguments about
14 the way they produce the data but we've got some
15 estimates, but they weren't available at the time. In
16 terms of, now we go back, look at the instrument, try
17 to come up with a number that we think would be
18 representative of that day.

11.12AM

11.12AM

19 Finally, just going back to 13 February, was the level of
20 smoke the same as on the 15th or 16th?---No. Oh no,
21 no, no, no, we're talking two different situations.
22 Like I say, I went down to the mine and I saw what I
23 saw down the mine, and I went down to Morwell, looked
24 at the bowling club, there was smoke around and it was
25 impacting and our advisors were there, and that's why
26 we were really keen to make sure those advisors were
27 there alerting people that smoke's going to affect your
28 health, but no, that's Sunday, I've never seen anything
29 like that.

11.13AM

11.13AM

30 So it really ramped up on the 15th and 16th, is that
31 it?---Yes. I mean the winds, southwesterlies, and it's

11.13AM

1 unfortunate, it seems to be a prevailing wind in
2 Morwell, so it's just pushing that smoke over to the
3 residents.

4 Just to pursue this slightly more. Later on once South
5 Morwell was up and running there were some high levels 11.13AM
6 recorded?---Yes.

7 In your opinion were the levels on the 15th, 16th higher
8 than those levels?---Yes.

9 Because without looking at the graphs, they were in the
10 200s, even 500s, but this was higher again then?---Yes. 11.14AM
11 So we had three major events, I believe. So you're
12 starting off at the 15th and 16th, that's their peak at
13 the moment. There's some discussion potentially, was
14 there anything on the 9th, but that's something I
15 suppose Claire, we can talk later on. Then we have 11.14AM
16 another peak around about the 21st, 22nd, 23rd, so
17 we've got the monitoring in place by then. Then we
18 have the third event on the 26th and 27th.

19 In our statement, Claire and myself in terms of
20 yesterday, I articulate the number of days that the air 11.14AM
21 quality - the advisory reporting standard has actually
22 been exceeded, so there was 21 days at Morwell South
23 that the advisory reporting standard was exceeded.
24 Seven of those days, looking at the PM 2.5 Protocol,
25 were in a category of hazardous, so that's greater than 11.15AM
26 157, and four of those days were in that category of
27 severe.

28 MR ROZEN: Extreme, is that right?---Extreme. I mean, that
29 gives you an indication of the levels and the potential
30 of, call it the quantity of those. 11.15AM

31 MEMBER CATFORD: The peak of the second episode according to

1 the data we've got was 500?---That's a 24 rolling
2 average.

3 But you're saying actually the first episode, 15th, 16th,
4 was significantly higher than that?---Significantly
5 higher, yes. When we compare, in terms of a 11.15AM
6 convention, the advisory reporting standard is on a
7 calendar day, so you you've got an advisory reported
8 standard of 25 from 12 o'clock to 12 o'clock, and you
9 basically come up with an average and you compare that
10 against it. The rolling 24-hour average gives us an 11.16AM
11 indication of what the levels would be like compared to
12 the standard, which is an hourly standard. But yes, I
13 think that that's the consequences you see they're the
14 three (indistinct).

15 MR ROZEN: If I can just summarise that, and we know this 11.16AM
16 from your joint report and we'll come to that in a
17 moment, but on one of those four days that were in the
18 extreme category, according to your joint report, there
19 was a reading that's been referred to by Professor
20 Catford of 501 $\mu\text{g}/\text{m}^3$. Do you agree with that?---Yes, 11.16AM
21 we've been - I think some of the estimates could be,
22 yes, 700 I think, could be.

23 This is the joint report that you prepared with
24 Ms Richardson, obviously that's not yet in evidence but
25 we have copies of that and we could distribute that 11.16AM
26 now, might be the simplest thing. We have it on the
27 screen. The bit that you're referring to is on page 5
28 of the document, question (c), "Did the level of PM 2.5
29 exceed the relevant standard during the period? If
30 yes, please provide details of when this occurred and 11.17AM
31 for how long." Just so we can place this in context,

1 and there'll be some evidence about this shortly, but
2 this is a joint report that you have produced together
3 with Ms Claire Richardson, who is an independent
4 environmental scientist that's been engaged by the
5 Inquiry. Is that correct, Dr Torre?---Yes. 11.18AM

6 The figures that you were just referring to are the ones
7 that we see there. You were asked the question, "Did
8 the level of PM 2.5 exceed the relevant standard during
9 the fire period? If yes, please provide details of
10 when this occurred and for how long." The time span 11.18AM
11 that you're there referring to is 14 February to
12 31 March, so that's 45 days?---Yes.

13 So that would seem to include - obviously it includes the
14 15th and 16th, the particularly bad weekend that you
15 were referring to a moment ago?---Yes. 11.18AM

16 As you've said, there are 21 days when the levels exceeded
17 advisory reporting standard. Of those 21, seven saw
18 readings in the hazardous category?---Yes.

19 These categories are derived from the PM 2.5 Protocol that
20 was utilised; is that right?---Yes. 11.19AM

21 Then there were four days where the levels estimated and
22 measured were in the extreme category, that is greater
23 than 250 µg/m³, so that's in excess of 10 times the
24 standard. Is that right?---Yes.

25 Then on one of those days, even though it's not referred to 11.19AM
26 there, do you agree that the highest reading during
27 that period was 501 µg/m³ or do you say there were
28 higher readings than that? That's what I'm trying to
29 understand?---Remember that some of the data on the
30 15th and 16th was actually estimated several weeks 11.19AM
31 later or months later. We weren't able at the time to

1 provide that information, this is when we go back and
2 start doing the hindcasting and start looking at those
3 estimates. So what I tried to do there is try to
4 summarise that on reflection of what that data was at
5 the time. 11.20AM

6 Just so that we can understand that, on those two
7 particularly bad days - do I understand your evidence
8 to be that in the entire period the worst days in your
9 experience were the 15th and 16th?---Yes.

10 The monitoring equipment that was in place at that time to 11.20AM
11 measure levels of PM 2.5 was DustTrak equipment at
12 Morwell South, and was that it?---No, there was also
13 the BAM or the standard method we monitor at Morwell
14 East.

15 So that was up and running at that time and fully 11.20AM
16 operational?---Yes.

17 What you're telling the Inquiry, as I understand it, is, by
18 looking at that fully calibrated data that comes from
19 Morwell East and DustTrak data, you can work backwards
20 to get - - -?---At the time what we did was, because 11.20AM

21 DustTrak data hadn't been calibrated to the levels that
22 we were working to, we used the Morwell East data and
23 we used - because one of the detectors we have is a
24 visibility reduction detector, and tried to compare
25 DustTrak detector to that detector over at Morwell East 11.21AM

26 to try to come up with an indicative number. That
27 indicative number that we provided the Department of
28 Health was around about 200. It was around about 80 or
29 85 µg/m³ at Morwell East, and we were thinking that the
30 way that the instruments were recording, that we had 11.21AM
31 something like about three times, so it's about

1 250 µg/m³-odd at the time, that's what we were thinking
2 the concentrations were as an estimate.

3 Just to go back to a question Professor Catford asked, I'm
4 not sure that we fully understand what was done with
5 the data, the indicative data that you had on the 15th 11.22AM
6 and 16th from the DustTrak monitor; was that provided
7 to the Department of Health at that time? Are you able
8 to help us with that?---I don't think DustTrak data
9 was - we were just providing air quality forecasts. So
10 by the time we got to the 15th and 16th we were doing 11.22AM
11 the alert, the advisories, and in those advisories
12 there was graphs and data to indicate indicative
13 levels. When it came to the actual data at Morwell
14 South, it was that Sunday night when I'd got there, I'd
15 provided the advice to the Department of Health, just 11.22AM
16 that particular concentrations that we were estimating
17 that were likely in Morwell South.

18 You provided that to the Department of Health, did you
19 say?---Yes, just indicative numbers of what they were.

20 What was the form of that information? Was that verbal or 11.22AM
21 did you - - -?---No, that was an email. And so, as
22 well as that, there was some information of the carbon
23 monoxide levels that the Fire Brigade had been having.
24 But I think the challenge here was, we had a set of
25 data that we weren't quite sure about the accuracy, 11.23AM
26 they were indicative, like the Fire Brigade data. It
27 was very difficult to get the data in the format,
28 because it wasn't automatically able to be able to
29 average the data into the numbers, and they were spot
30 readings and so we had a set of numbers that were 11.23AM
31 basically defined as five minute readings at all these

1 locations, and so it varies quite a lot, and we don't
2 really know - we didn't have it in a way that was able
3 to get it to compare it against the protocol.

4 So what we could do only for the Fire Brigade was
5 to basically - sorry, to the Health Department, to 11.23AM
6 provide the data that we did have in the format that we
7 did have, but working with the Fire Brigade and the
8 Emergency Services to come up with contingencies.

9 I understand. I just want to press you if I could. So you
10 send an email on 16 February to whom?---It would have 11.24AM
11 been to the Health Department, probably people that was
12 at the Regional Control Centre, I suspect it would have
13 been Vickie, Vicky Lynch. So the Health Department had
14 - so we were working together.

15 I don't think we've seen that email, Dr Torre, could a copy 11.24AM
16 of that be provided to the Inquiry?---Sure.

17 MEMBER PETERING: Perhaps just in the other three peak
18 periods where there were other emails to Vicky, was
19 that the source of information?---No. We were
20 furiously trying to get our monitoring system, working 11.24AM
21 through with the Department of Health with the
22 protocols, working out the assessment criteria, by the
23 time it got to the other ones, we had a formal
24 recording system in place, we were sending reports up.
25 We were confident that that data that was coming 11.25AM
26 through was the data we were working towards.

27 MEMBER CATFORD: Your professional judgment then was on the
28 15th and 16th, this was the worst part of the smoke
29 experience at Morwell, and it was greater than the
30 second peak which was on around the 11.25AM
31 21-22 February?---Yes.

1 Just in terms of that qualitative advice to the Department
2 of Health, what were you saying? This is shocking,
3 terrible, this is something we should monitor, what was
4 the tone or the level of concern you were
5 indicating?---Well, it was very, very high. 11.26AM

6 It was very, very high?---Well, I think the numbers speak
7 for themselves, you know, you've got elevated carbon
8 monoxide, you've got elevated potentially of - you've
9 got smoke everywhere, you're above the advisory
10 standard, and hopefully what was in place was 11.26AM
11 precautions that people were aware of and alerts and
12 the advisories. I think it was pretty obvious from,
13 just the observations of smoke in the town.

14 Just to close this off then, if you'd had a calibrated
15 DustTrak machine available ready to go from day one, 11.26AM
16 you would have been more confident in the quality of
17 the information?---Yes.

18 So then looking forwards, obviously that's something that we
19 need to consider?---Yes, and that's probably one of the
20 recommendations about having an overall State rapid 11.26AM
21 response system in place so that, hopefully nothing
22 like this happens again, but we're able to at least
23 respond appropriately.

24 MR ROZEN: This observation, Dr Torre, is in no way directed
25 at you, but from the perspective of Counsel Assisting, 11.27AM
26 the position where there's uncertainty about whether we
27 have this data or we don't is clearly unsatisfactory
28 and I think those to my left would no doubt be
29 understanding that position and I'm being told that
30 there is every effort being made to locate the 11.27AM
31 information that we've sought as a matter of urgency,

1 because clearly as I've indicated to Dr Wilson, if it's
2 material that needs to be put to witnesses, we don't
3 want to have to recall those witnesses to do that.
4 It's obviously important for Dr Torre, it will be
5 important for Dr Lester as well. 11.27AM

6 DR WILSON: I'm not sure we understand the unsatisfactory
7 qualification, we're running around trying to get the
8 documents as we speak.

9 MR ROZEN: The unsatisfactory observation was not directed
10 at any individual, but rather at the state of affairs. 11.28AM

11 Dr Torre, one last issue about the events of the 15th and
12 16th, and it concerns those elevated carbon monoxide
13 readings that you were referring to. The Inquiry last
14 week heard from a Mr Katsikis who is a Deputy Incident
15 Controller, I think you're familiar with the evidence 11.28AM
16 that I'm referring to. Firstly, can you explain the
17 context in which those elevated carbon monoxide
18 readings came to your attention? Was it on Saturday
19 the 15th? Have I got the timing right?---Yes. Well, I
20 got involved in the process a bit later. From my 11.28AM
21 understanding there were some elevated levels, I'm not
22 quite sure of the numbers, 15 or 20 ppm-odd, that was
23 spot testing I believe.

24 I think the highest reading that Mr Katsikis referred the
25 Inquiry to was 50 ppm?---Yes, well, that's spot 11.29AM
26 readings, it could be, yes. The only thing from my
27 understanding, and I wasn't really involved, there was
28 this issue about the 9 ppm, and I believe Manny (sic)
29 Katsikis was talking about a standard that's applied.

30 I suspect what he probably was talking about there was 11.29AM
31 the ambient air quality objective that's used, just for

1 ambient air, which is an 8-hour 9 ppm standard. So
2 it's not really related to a - I think, I'm not sure, I
3 think that that 9 ppm may have been confusion on his
4 part. I'm not sure where he got the 9 ppm apart from
5 that.

11.29AM

6 He told us, and this is in his statement, that the 9 ppm was
7 referenced in a Department of Environment Heritage
8 recommended ambient air carbon monoxide level, and it
9 was particularly called up in the Health Management
10 Plan that was in place as he understood it for the
11 Incident Management Team at the fire?---I don't know, I
12 can't answer that. The only comment I make, we do have
13 an ambient air quality objective, it is an 8-hour
14 average and it happens to be 9 ppm.

11.30AM

15 His evidence was that there was conflicting technical advice
16 coming to the Incident Controller about whether the
17 9 ppm was the standard to use or whether some other
18 standard should be used for the purposes of determining
19 if warnings should be given to the community?---I can't
20 comment.

11.30AM

11.30AM

21 He makes reference to a Department of Health toxicologist
22 that was involved in those discussions. Can you assist
23 us at all with who that might have been?---No.

24 All right, it's perhaps a matter we'll pursue with the
25 Health Department.

11.31AM

26 The final matter I want to ask you about,
27 Dr Torre, are some matters that, as I've forewarned
28 you, were raised with Mr Merritt yesterday and he
29 thought you might be better placed. You've probably
30 dealt with a couple of them. The first concerns a
31 meeting or two meetings with the Latrobe City Council

11.31AM

1 and the Environment Protection Authority on 8 April and
2 2 September last year. Do you recall attending two
3 meetings with the council?---Yes.

4 There are some notes that have been provided to the Inquiry
5 by the council, perhaps if they could be brought up. 11.31AM
6 It is exhibit 33. Have you seen these notes before,
7 they have just come up on the screen next to you,
8 Dr Torre? Anyone draw these to your attention between
9 yesterday and today?---Yes, there was, yes. I mean,
10 there was a discussion about these notes that were 11.32AM
11 presented yesterday, though I haven't looked at the
12 detail.

13 Were you present at both the meetings?---Yes.

14 The issue that was particularly raised yesterday with
15 Mr Merritt concerned the Latrobe Valley Air Monitoring 11.32AM
16 Network. If we can just scroll down a little, do you
17 see LVAMN, is that a network that you are familiar
18 with?---Yes.

19 Because it was raised at this meeting or were you otherwise
20 aware of it before it was raised?---No, I'm aware of 11.32AM
21 that because it's part of the data that's reported by
22 the network, because they've got two monitoring
23 stations in Latrobe Valley.

24 Where are those stations?---One's at Rosedale South and the
25 other one's at Geraldine Hill, and they're at industry 11.33AM
26 sponsored stations.

27 The readings from those stations are what?---They're
28 annually reported as part of their air monitoring
29 program, so Rosedale South tends to do SO2, NO2, ozone,
30 PM 10. 11.33AM
31 Is that a particular facility at Rosedale South? What is

1 it?---Yes, it's an air monitoring station.

2 Is it attached to a particular industry site or what's

3 there?---No. Air monitoring in the Latrobe Valley's

4 been going on for a number of years. From my

5 understanding it's been going on for 20-odd years, 11.33AM

6 there's been 26-odd stations that they've done

7 monitoring around it, there's been the Latrobe Valley

8 Air Quality Airshed study.

9 Rosedale South was one of the stations that was

10 maintained out of that system, and from my 11.34AM

11 understanding the rationale was that it was downwind of

12 all the power stations and so it gave an indication of

13 impacts. Geraldine Hill provides some of those plumes

14 under certain methodological conditions where they get

15 slightly higher impacts. So it's part of a network 11.34AM

16 that's been there for a long time and it's gone down to

17 two stations.

18 What was it initially?---From my understanding the SEC ran

19 quite an extensive network, 20-odd stations around the

20 place. 11.34AM

21 So the concern that was expressed apparently at the meeting

22 by the councillors about a reduction in resourcing of

23 that network seems to be a well-founded

24 concern?---Well, I mean going from 26 stations to two,

25 but obviously in that assessment - like in all air 11.34AM

26 monitoring networks it's about, what are the impacts,

27 what are we seeing? From my understanding is that a

28 lot of times they were meeting the air quality

29 objectives, and that accordingly contracted, so they

30 moved stations around, tried to get different results 11.35AM

31 to try to assess those impacts.

1 Did you understand from the meeting that the councillors
2 were asking the EPA to address that matter - that is,
3 the reduction in resourcing of that network?---Yes.
4 Was that the gist of it?---But the network's been reduced
5 for a number of years. Yes, the council were very keen 11.35AM
6 to have more air monitoring in Morwell.
7 Presumably the decision about the EPA's response to that
8 would not be taken by you?---No.
9 That's a decision for others, is it?---Yes, it's in terms of
10 assessing an air monitoring program and a decision 11.35AM
11 about what are the priorities. We went to Morwell to
12 do the monitoring program, it was really initiated as
13 something out of the works approval for the dual gas
14 plant, there were some anomalies in the modelling, so
15 we went down there, did some monitoring to do that, but 11.36AM
16 while we were there too we wanted to understand what we
17 think is the biggest impact in regional Victoria,
18 smoke, to keep that over an extended period of time.
19 We did that monitoring, assessed that information and
20 compared it to Traralgon. 11.36AM
21 The assessment was that, if you take out those
22 peaks for smoke under certain conditions,
23 Morwell/Traralgon was generally representative of air
24 quality in that area. The other thing with Traralgon
25 is that it's one of our continuous trend analyses so we 11.36AM
26 can see how air quality's changed in the valley over a
27 number of decades.
28 I neglected to ask you earlier, but that proposed upgrade of
29 the Traralgon monitoring station so that it could
30 monitor PM 2.5, has that now happened?---Yes. 11.36AM
31 It has?---We were intending to improve our network a year

1 ago or so for PM 2.5. We were always heading towards
2 getting that PM 2.5 network. So Traralgon, it was
3 obviously an area that was high priority, it's in
4 regional Victoria, for the power stations, but more
5 importantly there's the smoke that permeates in areas 11.37AM
6 certain parts of the year.

7 When did the Traralgon station's capability to monitor
8 PM 2.5 commence? Are you able to give us a date for
9 that?---No. It was only recently.

10 Since the fire?---Yes. I mean, the intention was to - 11.37AM
11 unfortunately the fire come along, the intention was to
12 have it there earlier.

13 Yes, you became a bit distracted?---Unfortunately. It was a
14 horrible event really, wasn't it?

15 The final matter I want to ask you concerns the peer reviews 11.37AM
16 that were conducted into the Carbon Monoxide Protocol,
17 we'll probably return to the protocol itself in the
18 joint evidence session, but do you know, there were
19 peer reviews into the protocol that were conducted and
20 commissioned, were they, by the EPA; is that 11.38AM
21 right?---Yes.

22 Were the results of those passed on to the Department of
23 Health, do you know?---I believe so. Actually I can't
24 comment on that. I assume they were.

25 The protocol itself was a joint product of the EPA and the 11.38AM
26 Department of Health?---Yes.

27 So it would seem logical that the peer reviews would also be
28 shared by the organisations?---I would think so, yes.
29 Just, there was so much going on.

30 I understand. That concludes the questions that I want to 11.38AM
31 ask of Dr Torre. I think there's some questions by the

1 State.

2 CHAIRMAN: I'll ask a question first then I'll call for
3 that. We heard evidence yesterday from Mr Pole in
4 relation to the regime that he applied as from
5 18 February, which I think you were still down here the 11.39AM
6 second time, did you have any direct link to the
7 Education Department or Mr Pole?---No.

8 So that anything that he would have decided would have been
9 in effect coming indirectly from you?---No. My role on
10 that would have been through the regional command 11.39AM
11 system. So we very much worked through that, the
12 management response, the AIMS system, so we were at
13 Traralgon and we would have been going through that
14 process, so, no, I didn't have any direct contact.

15 He obtained a report from a hygienist. We haven't got the 11.39AM
16 details of the protocol, but there was then, if you
17 like, a particular regime that was put in place that he
18 operated on, and I gather that was only indirectly as a
19 result of you. Once again, there was nothing that you
20 were directly involved in, but I take it that there are 11.39AM
21 a number of independent air quality people who could
22 prepare that kind of independent report for that
23 situation?---Yes, there's consultants that work -
24 there's the ambient air quality ones that deal with
25 those conventional areas but there's also industrial 11.40AM
26 hygienists, yes.

27 MEMBER CATFORD: Could I just ask a couple of quick
28 questions. You commented on the peer review for the
29 Carbon Monoxide Protocol. Did EPA commission a peer
30 review of the PM 2.5 Protocol?---Good question. Sorry, 11.40AM
31 I'm not sure.

1 We don't have any information that it did, but I'm just
2 wanting to confirm that?---There may have been. Sorry,
3 there was quite a - it was a team effort, there is a
4 lot of people doing work back at the office and the
5 programme leader, Gavin Fisher, would have coordinated 11.40AM
6 that particular activity.

7 I'm very conscious of the amazing amount of work you and
8 your very small team did in a very short period of
9 time, and you already explained earlier on that in
10 fact, if you looked back five years, in essence you've 11.41AM
11 had a 50 per cent reduction in the number of scientists
12 in the air quality area. If you'd had the same number
13 of staff, would your response have been any better,
14 faster, more appropriate, more helpful?---I think the
15 limiting factor is the air quality program. The air 11.41AM
16 quality program is based on doing the conventional air
17 monitoring, we've got a network of stations where, if
18 you see this role about EPA being a rapid response for
19 emergency, we're not geared up for that. It's kind of
20 like this kind of void to some extent because we're 11.41AM
21 very much focused on the bigger picture. I mean, we do
22 do short term monitoring for different events, but when
23 it comes to emergency response, it's having the
24 equipment, having the people ready to go, there's a
25 number of different steps. 11.42AM

26 So obviously there's an equipment dimension, but there's
27 also a staffing dimension in a rapid response
28 capability for the EPA? I think that's what you're
29 saying?---It's just that we're not - it's just the way
30 we're structured and the way we operate, it's just way 11.42AM
31 out of our - the way we operate normally.

1 I just want to take it back about in terms of
2 providing information and contingencies. I think it's
3 worth adding something with respect to that night, the
4 Sunday night when we're trying to get data and working
5 with the Department of Health on protocols -- 11.42AM

6 MR ROZEN: Sunday the 16th you're talking about?---Yes. We
7 were working with the Fire Brigade trying to come up
8 with, if we can't have the data in a certain format,
9 what's the best way to try to get that data.

10 That evening we were talking with the Fire Brigade 11.42AM
11 about trying to send - once you've got a protocol, one
12 of the issues about the protocol is you have a level
13 but it's also got to be an operational thing. How does
14 that number, how do you verify those numbers, so we
15 tried to put in place a contingency where the fireman 11.43AM

16 that was actually on site at the polling station at the
17 Morwell Police Station would look at the numbers and
18 have triggers, and so once that protocol had been
19 determined, which was actually less than the 1-hour
20 standard, it was around about the 17, and I suppose 11.43AM

21 that's in - that they would then contact the scientific
22 officer and then there would be a regime in place to
23 say, well, where is this concentration, do we need to
24 verify it, where are there some safety areas, so
25 there's a whole lot of work being done to try to get 11.43AM

26 those contingencies in place so that we could
27 understand those impacts and then feed that back into
28 the management. That was working with the Department
29 of Health in trying to streamline them or get some
30 clarity around them, so there was quite a lot of work 11.43AM

31 that night and the next day to firm that up.

1 And then also look at the resources we needed to,
2 to make sure we could do that better, so it was every
3 day we were trying to continually build so we could
4 build better and better systems as we went along.
5 Because the 15th and 16th, to be honest, that came out, 11.44AM
6 it just came out of the blue.

7 I understand Mr Burns has some questions.

8 <CROSS-EXAMINED BY MR BURNS:

9 Doctor, you've been asked about the provision of
10 information, both to the Department of Health and 11.44AM
11 indeed to the Board, and you've been asked for some
12 emails with regard to when the information was first
13 provided to Health on the 15th and you've undertaken to
14 provide those emails; is that right?---No, the 15th,
15 the emails in terms of some of those impacts would have 11.44AM
16 been more about our air quality forecasting people
17 trying to provide the advisories. So on the 15th,
18 early in the morning the high levels smoke advisory was
19 given and then there's a summary of levels that was
20 basically indicative levels around the place. 11.45AM

21 Questions were asked, Professor Catford asked or suggested
22 that the material hadn't been provided to the Board.
23 Is it your understanding that the Board requested a
24 letter on 19 May this year of access to all results of
25 air monitoring completed by the EPA and that was 11.45AM
26 answered by your agency through the government
27 solicitors on 22 May?---Yes.

28 I tender that letter.

29

30 #EXHIBIT 38 - (Addition) Letter from VGSO dated 22 February. 12.12PM

31

1 With regard to information that was provided, were you also
2 providing information to Incident Controllers
3 on-the-spot?---Yes.

4 What was the set-up about that? Was there someone from your
5 agency sitting with the Incident Controller?---Yes, we 11.45AM
6 had a structure in place, so we had an emergency
7 management liaison officer at the time, an MO, and they
8 were very much acting with the Health Department and
9 other Incident Controllers. On the 15th our MO at the
10 time, Tim Bessell-Browne, so he would have been 11.46AM
11 actively involved in that incident management activity.

12 Was that helping the Incident Control to interpret the data
13 they were receiving in real-time?---Oh, I don't know.

14 Your emergency coordinator sitting with the Incident
15 Controller, what was their own?---I think they were 11.46AM
16 trying to understand the impacts, trying to work out
17 what the levels were around, providing any support that
18 we could provide, feeding that back into - we had
19 people at the State Control Centre as well who were
20 actually working with what was needed, what did we need 11.46AM
21 to develop, what clarity, I believe. I think the
22 emergency incident management, you get a lot of input
23 and people are working through what their role is and
24 what support they can provide.

25 Mr Merritt, the former CEO of your agency, was asked about 11.47AM
26 the absence of a national standard in relation to
27 PM 2.5. Is it your understanding that there's a
28 process in place and that's well on the way to
29 achieving a national standard now?---Yes, it's very
30 close. There's been quite a lot of work done in the 11.47AM
31 last couple of years in really developing that standard

1 and, yes, quite a lot of work. There's still a bit of
2 work to be done but there's been a significant amount
3 of work done recently, yes.

4 Professor Catford asked of Mr Merritt whether he thought
5 Victoria should take a lead role and impose standards 11.47AM
6 on a State basis. What's your view about state based
7 standards as against national standards?---No, I think
8 the national process is really important to abide by.
9 One of the principles of the national process and
10 national environment protection measure is this notion 11.47AM
11 of equivalent protection. It states one of the issues
12 that the NEPM was developed - we have different
13 standards across different States. You'll have a high
14 standard for SO2 in one State for particular reasons.

15 The other thing, too, a national standard also 11.48AM
16 provides the funding to do the research and really
17 develop standards well. I think the national approach
18 is really the way to go.

19 It was suggested that because the standard was advisory only
20 and not a nationally enforced standard that no 11.48AM
21 prosecution could be envisaged in relation to that. Is
22 it your understanding that people are prosecuted on the
23 basis of a breach of their licence and conditions can
24 be imposed on the advisory standard on their

25 licence?---No, the licence is a completely different 11.48AM
26 issue. When you talk about a licence, it goes through
27 another process. For instance, if you have a licence
28 and you have a stack, there are emissions that - limits
29 are determined, and that follows a different air
30 quality impact assessment. So, if you look at the 11.48AM
31 policy, we have in our air quality management policy a

1 whole lot of design criteria, and in a licence you've
2 got to meet design criteria to ensure you're meeting
3 policy and that there won't be detrimental effects to
4 the environment. So the advisory standard in terms of
5 those licensing really aren't related.

11.49AM

6 The advisory standard is more about the general
7 ambient air quality of a particular area and any
8 objective that you're trying to achieve with that, and
9 that would encompass a whole lot of activities to try
10 to improve the air quality, like the Tasmanians focus a
11 lot on the planned burning - sorry, not planned burning
12 but the wood heaters. Look, in Australia, it could be
13 diesels, combustion sources. So that's what the
14 advisory standard is.

11.49AM

15 You've given some evidence about the desire for your agency
16 to have a greater rapid response capability; is that
17 right?---What I'm doing is, I'm just describing the way
18 that our air monitoring program is doing, and not
19 necessarily my organisation but there needs to be a
20 Statewide approach to, how is rapid response under
21 these emergency systems done effectively.

11.49AM

11.50AM

22 In that vein it would be better if the situation was that
23 the EPA had greater rapid response capability; is that
24 your evidence?---Well, it is more - I suppose it comes
25 down to - yes, in terms of an agency to provide some
26 report, but I think whose role is that to provide that
27 rapid response and who's equipped to do that?

11.50AM

28 In a review of the Hazelwood Mine fire, has there been an
29 assessment of new equipment that needs to be
30 purchased?---Yes, yes. In terms of our air monitoring
31 program, yes, we are looking very much on deployable

11.50AM

1 equipment, investigative studies. We're looking at
2 trying to add another dimension to our air quality
3 assessment, and our program leader, Gavin Fisher, has
4 done quite a lot in that area. I believe we've
5 purchased the travel blanket, which is really just a 11.51AM
6 DustTrak in a box. So, just to provide us a way of
7 assessing impacts.

8 So, you understand the travel blanket has already been
9 purchased or at least the commencement of that process
10 has occurred?---Yes, definitely in the process. I know 11.51AM
11 we're well down the track. Gavin's been negotiating a
12 system that meets our needs, because we see that also
13 as a potential tool for just our regulatory role,
14 trying to understand impacts around industry and some
15 other things. 11.51AM

16 Deputy Incident Controller Katsikis has given evidence about
17 the process in relation to the Carbon Monoxide Protocol
18 that developed during the course of the weekend of
19 15 and 16 February. Did you have any involvement in
20 that?---Yes. I was involved at the State Control 11.52AM
21 Centre. The Department of Health were working through
22 that protocol and I provided some assistance in terms
23 of just environmental monitoring, exposure, duration,
24 consideration that needed to be considered in
25 developing some of that protocol. 11.52AM

26 The evidence from Mr Katsikis was that a decision was taken
27 by the Incident Controller to rely on the advice of the
28 Department of Health in consultation with the EPA
29 before any further warnings were issued in relation to
30 carbon monoxide. Did you have involvement in that 11.52AM
31 process?---From my understanding, there was quite a lot

1 of interactions at the State Control Centre working out
2 what's the best way to progress. I didn't have any
3 detail on that specific point.

4 You recall discussions about that?---There was a lot going
5 on.

11.53AM

6 Not specifically?---I mean, I think what happened was, once
7 the protocol was starting to be evolved, I started to
8 turn my attention about, well, how can we go out and
9 assess that and started to talk to the Fire Brigade
10 about, what contingency with the envelope back in
11 Traralgon can we create this carbon monoxide monitoring
12 network.

11.53AM

13 You were asked by Mr Rozen what standard were you applying
14 to assess the level of carbon monoxide against. Your
15 answer was that, "We weren't really using a standard."

11.53AM

16 I want to take you to your statement of 16 May 2014 at
17 table 1, below paragraph 7. Do you have that
18 there?---Yes. No, because if you look at the
19 standard - sorry, are we referring to just the spot
20 tests, we're talking about?

11.53AM

21 You were asked by what standard were you assessing the
22 results against?---Okay, so you're talking about carbon
23 monoxide?

24 Yes?---Yes, see this is the issue that, when you're trying
25 to assess an ambient air quality standard, it's an
26 8-hour average and you take a spot test. What that
27 does is it just gives you an indication. Basically it
28 tells us, is there carbon monoxide or is it high; it
29 just gives us indicative numbers. When you're trying
30 to compare against the standard, that's why we go to
31 the trouble of putting the monitor in there that meets

11.54AM

11.54AM

1 the standard, provides the data in a format that gives
2 you the ability to assess it against the criteria.

3 In having regard to the assessment of those spot checks,
4 were you also having regard to the State Environment
5 Protection Policy, noting an 8-hour standard of 9 ppm? 11.54AM
6 Were you mindful of the State Environment Protection
7 Policy in that level of 9 ppm over 8 hours?---Yes.

8 I want to ask you about access to laboratories to get
9 priority analysis of samples. Is there sufficient
10 access to laboratories to do that?---I think from my 11.55AM
11 understanding in terms of laboratories, there was a
12 challenge at the time. Are we talking about the water
13 samples and the sediment samples or are we talking
14 about the air samples? Because we used a number of
15 different laboratories across - we even sent samples to 11.55AM
16 New Zealand.

17 Mr Merritt touched on this in his evidence. Are you
18 satisfied that there's sufficient access to
19 laboratories?---I think there was an issue from memory,
20 I recall, that some of the laboratories were trying to 11.55AM
21 get urgent results during the weekend and so there was
22 quite a lot of negotiation to try to get laboratories
23 to do the samples as soon as possible.

24 Are you now in agreement it needs more laboratories?---Oh,
25 yes. That's what really stems from an emergency 11.55AM
26 incident, you know, you try to find ways to do the work
27 that you have to do.

28 The last thing I want to ask you about, it's a question the
29 Chairman asked you with regard to the evidence of the
30 Deputy Secretary of the Department of Education and 11.56AM
31 Early Childhood Development. Mr Pole gave evidence

1 yesterday about the decision to relocate schools in
2 South Morwell - that is, south of Commercial Road.
3 Your evidence was that readings in that area were three
4 times higher, the air quality readings were three times
5 higher with regard to air pollutants; is that 11.56AM
6 right?---Yes. Are we talking at the time? When I'm
7 talking about three times higher, I was referring to on
8 the 16th. When we were looking at the data compared on
9 that event, they were three times higher compared to
10 the measurements that were taken at Morwell South 11.56AM
11 compared to Morwell East.

12 The decision to relocate the schools was taken - occurred
13 on - - -?---No.

14 You were not involved in that, no, but that was taken on
15 20 February, four days after you'd noted these readings 11.57AM
16 that are three times higher than East Morwell; is that
17 right?---Yes.

18 On that basis was the decision to relocate the schools south
19 of Commercial Road, does that have some scientific
20 basis for doing so?---I'm not aware of the information 11.57AM
21 that he had to make that decision.

22 He's indicated that he relied on EPA information. You're
23 not aware of the decision ?---No.

24 But in any event you'd say that area south of Morwell, it
25 was clear from the science that that 11.57AM
26 area - - -?---Sorry, yes.

27 - - - that was the area that had the greatest
28 difficulties?---Yes, and that's why we were monitoring
29 and that's the messages that we were getting. Sorry.

30 Thank you, Doctor. 11.57AM

31 MR ROZEN: No further questions by way of re-examination.

1 I'm perhaps in Dr Torre's hands. Do you need a break,
2 Dr Torre, before the concurrent evidence session or are
3 you happy to press on?---I'd like to press on.
4 Is the Board happy to press on because we're obviously under
5 some time constraints? In those circumstances, I'll 11.58AM
6 call Ms Claire Richardson.
7 <CLAIRE MARIE RICHARDSON, affirmed and examined:
8 MR ROZEN: Good afternoon, Ms Richardson. Could you please
9 for the purposes of the transcript state your full
10 name?---Claire Marie Richardson. 12.00PM
11 Your professional address please?---My professional address
12 is Air Noise Environment, located at unit 3, No.4 Tombo
13 Street, Capalaba in Queensland.
14 Ms Richardson, you have been engaged by the Inquiry to
15 provide us with independent environmental science 12.00PM
16 information?---That's correct.
17 In response to questions that were asked of you by the
18 Inquiry, you've provided us with two reports?---I have,
19 yes.
20 They're actually described as statements, so perhaps I'll 12.00PM
21 use that terminology. The first statement is dated
22 26 May 2014?---The final version of that statement was
23 dated 29 May.
24 Thank you. Have you had an opportunity to read through that
25 statement this morning before giving evidence?---I 12.01PM
26 have, yes.
27 Are there a couple of - in fact I think it's just one
28 typographical error that you would like to
29 amend?---That's right. There are two occurrences of
30 the word "date" that should be "data" in the document. 12.01PM
31 I know one of those is in paragraph 31, perhaps if we go to

1 those, on page 20?---That's right, it's at the end of
2 paragraph 31.

3 Paragraph 31, the last line?---That's correct.

4 You would change the word "date" so that it reads
5 "data"?---That's correct. 12.02PM

6 The other location in which that happened?---Or perhaps that
7 was in the other statement.

8 I think it might be. Perhaps before we go to the other
9 statement, with that change being made to your
10 statement of 29 May 2014, are the contents of the 12.02PM
11 statement true and correct?---Yes, that's correct.

12 Where you express opinions in the statement, are they
13 opinions that are honestly held by you?---They are,
14 yes.

15 I tender the statement of 29 May. 12.02PM

16

17 #EXHIBIT 39 - Statement of Claire Richardson dated 29 May
18 2014.

19 MR ROZEN: In response to some further questions that were
20 asked of you by the Inquiry, did you provide a 12.03PM
21 supplementary statement dated 30 May 2014?---I did,
22 yes.

23 Are there two changes that you would ask to make to that
24 statement?---There's actually an additional change that
25 I've picked up having listened to Dr Torre this 12.03PM
26 morning.

27 Can you direct us to the part of the statement where that
28 is, please?---In table 1 on page 9 of 30.

29 That's the occupational exposure criteria?---That's correct.

30 If we look at column 4, so going from the left-hand 12.03PM
31 side of the page we go across to column 4, we have a

1 heading, "NEPM air toxics, ADSDR and TQEC", I
2 understand from Dr Torre's evidence this morning that
3 the units of measurement for those parameters in column
4 4 should read micrograms per cubic metre, not parts per
5 billion. 12.04PM

6 So the first entry is actually on page 10 of the statement
7 for magnesium?---That's correct.

8 So where it says 95 ppm, it should be 95?---Micrograms per
9 cubic metre.

10 We also make that change wherever we see parts per billion 12.04PM
11 in that column?---In that column, that's correct.

12 Only in that column. Thank you. Is there also a
13 typographical error in paragraph 16, the third line,
14 the word "date" appears again?---That's correct.

15 That should be "data"?---That's right. 12.05PM

16 Perils of spell check. On page 25, just beneath
17 paragraph 46, the reference to "Morwell East" in the
18 footer to figure 1 should be "Morwell South"; is that
19 right?---That's correct.

20 With those changes being made, is the supplementary 12.05PM
21 statement dated 30 May 2014 true and correct?---There's
22 one further paragraph that I understand from
23 discussions with Dr Torre yesterday may not be strictly
24 correct, and that relates to the requirement to locate
25 an ambient air quality monitoring station in the 12.05PM
26 Latrobe Valley. I understood from discussions with
27 Dr Torre yesterday that, strictly speaking, on the
28 population guidelines in the NEPM that it wouldn't be
29 necessary for that to be in place.

30 Can you direct us to where that paragraph is?---That is 12.06PM
31 paragraph 30 on page 16 of 30, where I state that,

1 "Based on the population in the Latrobe Valley a single
2 performance monitoring station is required." I
3 understand from Dr Torre it wouldn't be required based
4 on the population. However, the EPA see the
5 significance of the valley in terms of pollution and 12.06PM
6 elected to site a monitoring facility there anyway.
7 Could that concern be addressed by inserting the words "not
8 necessarily" between "is" and "required"? Would that
9 satisfactory meet that?---It would, yes.
10 Okay, "is not necessarily required". With those changes, 12.06PM
11 are the contents of the statement true and
12 correct?---They are it, yes.
13 Once again, the opinions expressed are opinions that you
14 honestly hold?---I do, yes.
15 I'll tender the supplementary statement. A separate 12.07PM
16 exhibit I think perhaps.
17
18 #EXHIBIT 40 - Supplementary statement of Claire Richardson
19 dated 30 May 2014.
20 MR ROZEN: You have attached to your supplementary 12.07PM
21 statement, and perhaps also the first one, a detailed
22 CV - I think it's only to the supplementary statement.
23 Perhaps if we could briefly go to that, it's appendix A
24 to the supplementary statement. You have
25 qualifications, a Bachelor of Science with Honours from 12.07PM
26 the University of London?---That's correct.
27 You have a Postgraduate Diploma in Air Pollution Control.
28 Where did you obtain that qualification?---That was
29 also a qualification I studied in London and it was
30 under a curriculum defined by the Royal Society of 12.08PM
31 Health in the UK.

1 You're a member of the Clean Air Society of Australia and
2 New Zealand; is that right?---That's correct, yes.
3 Under the heading, "Gas and particulates research,
4 measurement and prediction", you have undertaken
5 research projects in a number of areas related to the 12.08PM
6 subject matter of this Inquiry?---I have undertaken
7 research into particulate matter, but mainly from
8 mining sources, not necessarily from fire sources at
9 mines.

10 So from controlled emissions, is that right, as opposed to 12.08PM
11 uncontrolled emissions, or is that not the distinction
12 you wish to be making?---It could be described that
13 way, yes.

14 I noted the first dot point there, "Research project to
15 determine emission rates of PM 2.5 particulates from 12.09PM
16 emission sources at open cut coal mines." When did you
17 engage in that research project?---That was commenced,
18 it would have been around about the year 2000.

19 Which particular open cut coal mines were you concerned
20 with?---There were a number of participants. One of 12.09PM
21 the mines was operated by BHP in the central Queensland
22 Bowen Basin, that was called Peak Downs, and then I
23 measured also in the Hunter Valley; it was a mine site
24 operated by Coal & Allied, I think it was called Hunter
25 Valley No.1, but the names have changed over the years 12.09PM
26 in the Hunter Valley.

27 I can't leave your CV without asking you something about a
28 paper that you delivered, this is on the very last
29 page of the statement, page 4 of the CV. It looks like
30 a paper to the Queensland Environmental Law Society, so 12.10PM
31 it's the fourth dot point under the heading, "Papers

1 and publications."

2 "Environmental Monitoring - Science or Black
3 Art?", was a paper that you presented. What was your
4 conclusion, Ms Richardson, science or black art?---A
5 mixture of both. 12.10PM

6 Very diplomatic. I can relate to that as one who's newly
7 arrived at trying to understand the science of
8 environmental monitoring.

9 Before leaving documents, and I'll ask you about
10 your statements in a moment, but have you also, 12.10PM
11 pursuant to a concurrent evidence protocol determined
12 by the Inquiry, have you also participated in a
13 concurrent evidence process with the gentleman to your
14 right, Dr Torre, of the EPA?---Yes, I have.

15 MR ROZEN: I'll ask both of you to have a look at a document 12.10PM
16 headed, "Expert Witness Concurrent Evidence Protocol."
17 Firstly, Ms Richardson, can you confirm that the
18 document that has just been handed to you is the
19 protocol that guided the discussions you had with
20 Dr Torre. 12.11PM

21 MS RICHARDSON: Yes, this is the document that we followed,
22 yes.

23 MR ROZEN: On your part, Dr Torre, even though you're
24 described as "Mr" Torre there, this is the document
25 that also guided those discussions; is that right? 12.11PM

26 DR TORRE: Yes.

27 MR ROZEN: The second document I'll ask you to have a look
28 at is headed, "Joint Report of Ms Claire Richardson and
29 Dr Paul Torre, 2 June 2014." I think it's attached to
30 the first. Is that a four-paged report that you 12.11PM
31 jointly produced as a result of those discussions?

1 MS RICHARDSON: That's correct, yes.

2 DR TORRE: Yes.

3 MR ROZEN: I'll tender the protocol and the report as one
4 exhibit.

5 12.12PM

6 #EXHIBIT 41 - Expert Witness Concurrent Evidence Protocol
7 and Joint Report of Ms Claire Richardson and Dr Paul
8 Torre dated 2 June 2014.

9 MR ROZEN: In the protocol that is now exhibit 41, you were
10 set certain tasks under heading (3), which were to 12.12PM

11 identify and discuss technical issues concerning air
12 quality in these proceedings, in the Inquiry, to reach
13 agreed opinions on those issues; if that is not

14 possible, to narrow the issues in which there is
15 disagreement between the two of you. Thirdly, to 12.13PM

16 identify those issues on which you agree and disagree
17 and summarise your reasons for disagreement on any
18 issue. Finally, to identify what action, if any, may
19 be taken to resolve any outstanding issues that may
20 remain. 12.13PM

21 You were asked to produce a joint report, being
22 guided by that process, addressing the six matters
23 which are set out under heading (4), "Joint report". I
24 just ask that both of you understood that was the
25 process you were engaged? 12.13PM

26 MS RICHARDSON: Yes.

27 MR ROZEN: Dr Torre?

28 DR TORRE: Yes.

29 MR ROZEN: If we can turn then to the joint report and if we
30 can work our way through it. For both of you, 12.13PM

31 particularly perhaps Ms Richardson, if there are

1 matters in your statements that you particularly want
2 to take the Inquiry to in relation to these issues,
3 then please indicate what those are as we go along and
4 we'll bring those up.

5 The first question you were jointly asked to 12.14PM
6 consider, "Do you consider that the appropriate ambient
7 air quality monitoring standards were used during the
8 fire period?" In your joint report you identify there
9 were two sets of standards, the ambient standards and
10 the response standards. Ms Richardson, can you just 12.14PM
11 explain the difference between those two and what are
12 you referring to?

13 MS RICHARDSON: The ambient standards are the standards
14 setting the SEPP, ambient air quality, which reflect
15 the national standards in the National Environmental 12.14PM
16 Protection Measure also for ambient air quality. These
17 are the standards that are set to protect the majority,
18 if not all of the population, and they're used to guide
19 both policy and research into the way we manage
20 emissions both in the State and throughout Australia. 12.14PM
21 So the intent is that exceedances of these standards
22 signify where we need to do more investigation and they
23 are at the point at which there could start to be
24 health impacts on some portions of the population.

25 MR ROZEN: Perhaps if we can bring up from your first 12.15PM
26 statement page 9, please. I know the same table
27 appears in your first statement, Dr Torre. Is that
28 what you're there referring to, Ms Richardson? You
29 were asked to identify the standards for certain
30 particular pollutants; is that right? 12.15PM

31 MS RICHARDSON: That's correct. So the reference in the

1 joint report to the ambient standards is a reference to
2 the standards that are presented in table 1(a), but
3 then also in table 2 where they're also adopted in the
4 Victoria State Environmental Protection Policy.

5 MR ROZEN: One of the differences we see, correct me if I'm 12.16PM
6 wrong, is that there's a reference to particulates as
7 PM 2.5 in the first standard as an advisory reporting
8 standard, but not in the Victorian table. Is that
9 right?

10 MS RICHARDSON: Table 1(b) has the advisory standard, so 12.16PM
11 that is something that was incorporated into the
12 National Environmental Protection Measure in 2005,
13 subsequent to the development of the original standard
14 in 1998.

15 MR ROZEN: Can you just explain that to us? What was 12.16PM
16 developed in 1998?

17 MS RICHARDSON: Table 1(a) has the NEPM ambient air quality
18 standards and goals. Those standards were developed
19 and implemented in 1998. At the time we had very
20 limited knowledge about particulate matters smaller 12.16PM
21 than 10 micrometers, although there was some evidence
22 starting to appear that it could be an issue, so at the
23 time the research community was trying to gather
24 evidence and information about the finer particulate
25 matter. Over time as some of that evidence emerged, 12.17PM
26 the National Environment Protection Council decided to
27 review that information, and on the basis of that they
28 implemented a change to the original 1998 NEPM to
29 incorporate an advisory reporting standard for PM 2.5.

30 The view at the time was, there was still 12.17PM
31 insufficient evidence to enforce this as a health

1 standard in Australia, but the intent was to ensure
2 monitoring was undertaken by the various EPAs so that
3 the information became available to link to health
4 studies to then determine whether or not it should be
5 incorporated as a national criteria. 12.17PM

6 MR ROZEN: If we go back up to table 1(a), please, in the
7 fourth column. You indicated that the goal at that
8 time was to gather data to inform the development of a
9 standard?

10 MS RICHARDSON: That's correct. 12.18PM

11 MR ROZEN: What's the opposite of an advisory standard, a
12 mandatory standard?

13 MS RICHARDSON: A mandatory standard, yes.

14 MR ROZEN: Can you inform the Inquiry about what progress
15 has been made since that time because it seems a long
16 time to be (indistinct). 12.18PM

17 MS RICHARDSON: It has been a significant period. Many of
18 the EPAs around Australia have been monitoring PM 2.5,
19 not necessarily at all of their stations but certainly
20 at some of those stations. So data has been provided
21 or is now available in Australia. 12.19PM

22 Also over that time there have been many, many
23 studies overseas and so international researchers have
24 also built up a very large body of evidence relating to
25 PM 2.5. 12.19PM

26 There was a recent review, I think it was in 2013,
27 by the National Environment Protection Council as to
28 the status of the current knowledge of PM 2.5, as well
29 as a number of other aspects relevant to the current
30 NEPM standards. One of the conclusions of that review
31 was, we now have sufficient evidence that the PM 2.5 12.19PM

1 advisory standard should be implemented and perhaps
2 even reviewed in terms of its applicability.

3 More recently than that, just towards the end
4 of April this year, there was an announcement gazetted
5 by the Commonwealth Government that the NEPM standard 12.19PM
6 is to be amended to incorporate a regulatory
7 requirement for compliance for a PM 2.5 standard, and
8 that there will also be amendments to the PM 2, PM 10
9 criteria in the NEPM.

10 MR ROZEN: What's the likely timeframe for those 12.20PM
11 developments? Is that in the gazettal notice?

12 MS RICHARDSON: The gazettal notice doesn't state the
13 timeframe and I'm not a member of the committee that
14 reviews this information. Perhaps Dr Torre would have
15 more information than I do. 12.20PM

16 MR ROZEN: That sounds like an invitation, Dr Torre. Can
17 you enlighten us further about that? Firstly, do you
18 agree with that background information?

19 DR TORRE: Yes, I do.

20 MR ROZEN: What's the current state of play as of April 12.20PM
21 this year, are you aware of those developments that
22 Ms Richardson's referred to.

23 DR TORRE: Yes, very much. Like, it's been a work in
24 development for quite a number of years.

25 MR ROZEN: Have you been involved in that process 12.20PM
26 personally?

27 DR TORRE: In aspects of it?

28 MR ROZEN: Yes.

29 DR TORRE: In terms of, yes, just providing some scientific
30 advice or evidence, Eco Victoria has been actively 12.21PM
31 involved in that process. Our policy people are

1 probably better placed in terms of the process. I
2 can't really say, but there's been a lot of work. I
3 don't think it's too far away; it's definitely very
4 close from my understanding.

5 MR ROZEN: This is a question directed to either or both of 12.21PM
6 you, but is it your present understanding that when the
7 mandatory standard emerges, it will be set at the same
8 levels as the advisory standard, or are the standards
9 likely to be different?

10 MS RICHARDSON: The gazettal states that there will be 12.21PM
11 standards implemented but it doesn't necessarily state
12 that they will be the ones that have been adopted as
13 reporting standards.

14 MR ROZEN: Just so that we're clear, from the table we can
15 see the advisory standard is 25 µg/m³ averaged over one 12.22PM
16 day, and 8 µg/m³ averaged over one year. Am I reading
17 that correctly?

18 DR TORRE: Yes.

19 MS RICHARDSON: Yes.

20 MR ROZEN: How do those levels compare to mandatory 12.22PM
21 standards in other countries, for example in the
22 United States?

23 MS RICHARDSON: In the United States the 24-hour average is
24 higher, at 35 µg/m³, and the annual average is also
25 higher at 15 µg/m³. Similarly in Europe there is a 12.22PM
26 higher annual standard, but their 24-hour criteria is
27 the same as the one that we have adopted in Australia
28 as the advisory reporting standard.

29 MR ROZEN: The 25 micrograms?

30 MS RICHARDSON: The 25. China has recently mandated that 12.22PM
31 they will also be implementing particulate standards.

1 As we're aware, it's rather a polluted country at the
2 moment.

3 MR ROZEN: I think the citizens of Beijing will be pretty
4 happy about that.

5 MS RICHARDSON: Yes, it's not mandated to become law, I 12.23PM
6 believe, until 2016, but they are going to adopt a
7 24-hour average of 75 µg/m³ and an annual average of
8 35 µg/m³, so we can see there is some variance in those
9 standards. Perhaps if we look at the criteria proposed
10 for China, that there is obviously some appreciation 12.23PM
11 that they would have difficulty meeting a much more
12 stringent standard at the moment.

13 MR ROZEN: Does the literature indicate that there is a safe
14 level of exposure to PM 2.5?

15 MS RICHARDSON: The literature supports a view that there is 12.23PM
16 no safe level.

17 MR ROZEN: Do you agree with that, Dr Torre?

18 DR TORRE: Yes, I do.

19 MR ROZEN: And that obviously raises questions about how one
20 goes about setting a standard. What are the sorts of 12.23PM
21 considerations that are taken into account where the
22 literature says no safe level, you've got to set a
23 standard that assumes a safe level, what are the
24 considerations that are taken into account by those
25 that set such standards? 12.24PM

26 MS RICHARDSON: I might ask Dr Torre to respond to that as
27 he has a role with the regulator.

28 DR TORRE: It's definitely a challenge. There's a whole lot
29 of considerations in setting these promulgated air
30 quality standards and they involve regulatory impact 12.24PM
31 assessments, they take in the social impacts, they take

1 in the health impacts, so it's quite a number of
2 different factors. The notion of no safe levels is
3 obviously considered in that whole process, but there
4 are standards across the world. It is a difficult
5 concept to understand. 12.24PM

6 MR ROZEN: If we can turn then from the ambient standards to
7 the response standards, that was the second matter that
8 you considered in answering the first question. You
9 jointly note the response standards were based on
10 advice from the Department of Health and the standards 12.25PM
11 were developed during the fire which was challenging
12 and they were a work-in-progress. You were involved in
13 the development of the response protocols, Dr Torre.

14 DR TORRE: Yes.

15 MR ROZEN: Obviously, it is challenging to develop those on 12.25PM
16 the run in the course of responding to an emergency; do
17 you agree with that proposition?

18 DR TORRE: Yes. Yes, I think that there wasn't a protocol
19 there, so that was developed as the need arose.

20 MR ROZEN: You both make reference in your statements to 12.25PM
21 contrast that position with the Bushfire Smoke Exposure
22 Protocol which, Dr Torre, I think you were particularly
23 involved in the development of that in Victoria. Over
24 what period of time was that protocol developed?

25 DR TORRE: Well, that protocol sort of started, I think, 12.26PM
26 after the 2006-2007 bushfires, so over a period of time
27 was coming up with that protocol over those years, and
28 more recently we also agreed with that protocol. More
29 recently, we formalised the more recent protocol.

30 MR ROZEN: You say that it's pleasing the standards were 12.26PM
31 able to be peer reviewed in such a short period of

1 time, but you go on to state that, "The response
2 protocols overall should be reviewed with a focus on
3 both the adopted thresholds as well as the appropriate
4 operational responses that are triggered as each
5 threshold is exceeded, and upon completion of the 12.26PM
6 review, the protocol should be finalised and adopted
7 for future events."

8 I want to ask you about that. In your second
9 statement, Ms Richardson, at paragraph 52 on page 26,
10 you note that extended emergencies relating to 12.27PM
11 industrial type emissions and fires are less common
12 than bushfires, which is what you've previously been
13 talking about. You say, "As each of these types of
14 incident has unique characteristics, for example air
15 pollution type, concentration, exposure risk and 12.27PM
16 variability of emissions over time, it is neither
17 practical nor appropriate to develop incident specific
18 protocols in advance."

19 There seems to be a bit of a tension between what
20 you're suggesting in the joint report and the 12.27PM
21 observation that you can't develop in advance a
22 protocol for every likely contingency. Would you like
23 to expand on that please?

24 MS RICHARDSON: Yes, that's correct. In an emergency
25 incident there can be different emission sources 12.28PM
26 involved, we can have chemical spills, we can have
27 fires at different types of industrial operation, and
28 so each incident is unique from that respect. However,
29 there are some commonalities that we can try and
30 address in a broader protocol. From that perspective, 12.28PM
31 I do believe it's appropriate to continue to review the

1 protocols that were developed for the Hazelwood Mine
2 Fire, but they would have to be in a broader sense
3 perhaps and specific to the fire so that they would
4 have some value in the future for other incidents.

5 MR ROZEN: Dr Torre, would you like to add to that? 12.28PM

6 DR TORRE: Yes, I think one of the things about the protocol
7 is also the operational responses. Having a trigger
8 level alone, you need more; how do you operationalise
9 that trigger and how does that work out through an
10 incident? So that was one of the learnings I think we 12.29PM
11 learnt as we went along, is that, you have a protocol
12 but then how do you actually activate it in an
13 operational sense.

14 MR ROZEN: Just to be quite specific about that, what you're
15 talking about is, you've got a particular reading; what 12.29PM
16 are the consequences of that for the public health
17 officials, what do they say to the community that they
18 ought to do?

19 DR TORRE: Exactly and a whole gamut of things, you know,
20 working through how is that taken through an incident, 12.29PM
21 what are the considerations, what are the options?
22 There's quite a bit of working and learnings in that in
23 terms of getting to that part of it. It's the whole
24 way that that protocol would be used and actually
25 implemented in a response. 12.29PM

26 MR ROZEN: Just in relation to that, the Inquiry's heard
27 evidence from a number of witnesses who have talked
28 about the unique characteristics of the Hazelwood Fire,
29 unique from the perspective of the firefighters, for
30 the public health officials that had to give advice and 12.30PM
31 so on. Do either of you have any observations to make

1 about that evidence that the Inquiry's heard? Was this
2 a unique event in world terms or even in Australian
3 terms?

4 DR TORRE: I would think so. I think that those levels,
5 those carbon monoxide levels, were very unusual. I've 12.30PM
6 never seen carbon monoxide levels at that
7 concentration - not that I've seen a lot of coal mine
8 fires, but I was really surprised at the elevated
9 levels. Even when we tried to do a correlation between
10 the particle levels and carbon monoxide, we couldn't 12.30PM
11 find any pattern. It was really such a different fire.
12 Carbon monoxide levels I've never seen before.

13 MR ROZEN: These are the levels on the weekend of 15 and
14 16 February you're talking about or otherwise?

15 DR TORRE: Just generally from the fire. You see, with 12.31PM
16 carbon monoxide in fires you don't necessarily get such
17 high levels. I just think it was this particular fire
18 itself and the way the coal was burning and the poor
19 combustion. I'm not quite sure exactly what was
20 leading to that, but one factor could've been that 12.31PM
21 brown coal's got a lot of water, and in that combustion
22 process it was creating incomplete combustion of carbon
23 monoxide, but that was really unique in that level of
24 carbon monoxide.

25 MR ROZEN: Ms Richardson, anything you can add to that? 12.31PM

26 MS RICHARDSON: I agree in general with Dr Torre. There
27 were some unusual circumstances associated with the
28 fire. We do have a fair amount of monitoring
29 information from Australian coal mines where we have
30 the phenomenon spontaneous combustion, but clearly this 12.31PM
31 fire was quite different to those sorts of events, so

1 the existing dataset we have does not relate to the
2 sort of emissions that occurred during the Hazelwood
3 Fire.

4 In terms of the duration, initially I thought the
5 duration was somewhat unusual, but as I've reviewed the 12.32PM
6 literature I've seen that certainly bushfire events do
7 occur over extended period of time. So, perhaps we
8 should be better at dealing with these longer term
9 events based on our experience of bushfires, both here
10 and in other countries such as the United States. So 12.32PM
11 there is experience about longer term exposures as we
12 experienced in this event, although the characteristics
13 of the emissions were probably quite different to
14 anything that we had experienced before.

15 MR ROZEN: I think the term of art is "a campaign fire", we 12.32PM
16 have campaign fires in Victoria that can run, not just
17 in Victoria but I'm familiar with the ones in Victoria
18 that can run for weeks or even months. Is that what
19 you were thinking about?

20 MS RICHARDSON: That's right, yes. 12.32PM

21 MR ROZEN: In fact, Dr Torre, was it the campaign fires that
22 led to the Bushfire Smoke Protocol, the ones in the
23 alpine region?

24 DR TORRE: Yes, exactly, in 2006 and 2000 we had extended
25 spoke across Victoria for several months I think. 12.33PM

26 MR ROZEN: Yes, it was, yes.

27 DR TORRE: I even remember Melbourne being fumigated during
28 the December-January period, so yes, that went on for a
29 long time.

30 MR ROZEN: Just before we leave the question of the response 12.33PM
31 protocols, are there overseas protocols or protocols

1 that are in place overseas that can assist in the
2 process that you recommend, which is the reviewing of
3 the protocols with a view to having them in place in
4 the future? Perhaps, Ms Richardson, if I can start
5 with you?

12.33PM

6 MS RICHARDSON: Yes, there are certainly protocols adopted
7 in the United States that I have reviewed. In fact
8 there was a copy of an extract from one of them
9 attached to my second statement. Certainly, they have
10 been developed to deal with wildfire, wildfire
11 incidents as they call them in the States, so they
12 would have relevance from a bushfire perspective, but
13 we would need to determine how relevant that would be
14 in Australian situations and to different types of fire
15 or different types of incident.

12.34PM

12.34PM

16 I have found very little relating to responses
17 based on CO concentrations, so that there was nothing
18 available to inform the development of that protocol as
19 far as I'm aware anyway during the incident.

20 MR ROZEN: Just in relation to that attachment to your
21 statement, I think it's up on the screen now, is that
22 what you're referring to, table 2 in your second
23 statement?

12.34PM

24 MS RICHARDSON: That's right, yes.

25 MR ROZEN: It seems to refer to two measures - that is, AQI,
26 can you help us with that acronym, Air Quality Index?

12.34PM

27 MS RICHARDSON: Yes, that's Air Quality Index, and that's a
28 measure that's based on a range of parameters, it isn't
29 just particulates, it's a number of other parameters as
30 well. It does include things like ozone, nitrogen
31 oxide, sulphur oxide.

12.35PM

1 MR ROZEN: We see the AQI values, and then on the right-hand
2 side of the page we see the PM 2.5, 24-hour average.
3 As the levels go up, so too does the response. Just
4 applying the figures that we know from your joint
5 report were recorded in Morwell during the fire, you 12.35PM
6 talk about four days that were in the extreme - what
7 you refer to as the extreme category; that is, greater
8 than 250 micrograms. Applying this table, if we go
9 back to table 2, that puts us into the second-highest
10 category, does it not? 12.36PM

11 MS RICHARDSON: That's correct, yes. The first hazardous
12 category, which relates to PM 2.5, 24-hour averages of
13 250 micrograms to 350.

14 MR ROZEN: The corresponding health advice here is to
15 trigger health warnings of emergency conditions, the 12.36PM
16 entire population is even more likely to be affected by
17 serious health effects. It's very general, would you
18 not agree?

19 MS RICHARDSON: It is very general, yes.

20 MR ROZEN: To be more helpful to a community, advice about 12.36PM
21 whether they ought to - you know, not engage in outdoor
22 activities or in fact relocate and so on, is the sort
23 of information you'd want to see, wouldn't you, for a
24 protocol?

25 MS RICHARDSON: That's correct, and certainly myself and 12.36PM
26 Dr Torre agreed that, in the review of the protocols
27 that were developed, that was key information that
28 would be of benefit to include in finalisation of those
29 protocols.

30 DR TORRE: From my perspective, there are quite a number of 12.37PM
31 alerts, advisory, contact a nurse, don't do exercise.

1 I think what we're sort of recommending here is to go
2 into that and look at that in a bit more depth, and is
3 there anything in there that could provide some more
4 input? Because there is quite a bit already, advice in
5 terms of trying to deal with these situations. 12.37PM

6 MR ROZEN: I won't ask you anything specific unless you have
7 something to offer about question (b), the location of
8 the air monitoring stations; I think your positions
9 about that are clear, that the best data was from the
10 Morwell South location. 12.37PM

11 MS RICHARDSON: Yes.

12 MR ROZEN: If we go over to question (c) and you've already
13 dealt with this, that is, you were asked whether the
14 levels of PM 2.5 exceeded the relevant standard during
15 the fire period and, if so, give details and you've set 12.38PM
16 those out there. Just to give us some perspective, I
17 want to focus on the four days that were in the extreme
18 categories - that is, readings higher than 250 $\mu\text{g}/\text{m}^3$.
19 From your collective experience how high are those
20 readings? Are they unusually high or have you 12.38PM
21 experienced readings like that in other settings,
22 particularly the highest of the readings which we
23 understand to be 501 $\mu\text{g}/\text{m}^3$?

24 DR TORRE: We don't have a lot of PM 2.5 data to compare it
25 against other events. We're still trying to find out 12.38PM
26 if there is - I know that Andy, my colleague who's a
27 data analyst, was looking at visibility reduction
28 during 2006 and 2000, and he did come up with an
29 interesting statistic where there were the odd hour
30 when you looked at the visibility reduction, that in 12.39PM
31 the Wangaratta area, that was getting close to that,

1 but that's a visibility reduction, it's not a PM 2.5
2 measurement per se. So we don't have the PM 2.5 data
3 from other incidents that compare.

4 MR ROZEN: Ms Richardson, can you expand on that at all?

5 MS RICHARDSON: I haven't seen any data from Australia that 12.39PM
6 suggests or confirms that those values have been
7 exceeded, but again, that's probably to do with the -
8 firstly, the lack of monitoring data to date, but also
9 where the monitoring stations are positioned that are
10 currently recording PM 2.5. I have seen some data from 12.39PM
11 overseas that suggests that those sort of values are
12 reached, for example in China, in some of the
13 developing countries; they're normally associated with
14 meteorological conditions that allow the build up of
15 air pollutants, particularly in cities, and so there is 12.39PM
16 data available suggesting that there are communities in
17 the world at the moment that do experience those
18 concentrations from time to time.

19 MEMBER CATFORD: Could I just ask, which are the four days
20 you're referring to there? 12.40PM

21 DR TORRE: They would be the 15th and 16th and I believe it
22 would be the 21st and 22nd.

23 MR ROZEN: Could I ask then about the 26th and 27th. In the
24 summary graphs we've got it would appear that there
25 were two days that exceeded 250, if I'm reading the 12.40PM
26 graph correctly.

27 DR TORRE: Yes, sorry, what you're reading there, I think,
28 is the 24-hour rolling average. The day that's been
29 presented is the 24-hour calendar day average compared
30 directly against the advisory standard. So we have two 12.40PM
31 reporting systems; one is to give us a 24-hour rolling

1 average to give us an indication of what the likely
2 levels are on an hourly basis because we don't have an
3 hourly standard. But when we do an assessment against
4 an advisory reporting standard, we use the calendar day
5 from 12 o'clock to 12 o'clock. 12.41PM

6 MR ROZEN: I just find that a little bit confusing because I
7 think you said there were three peaks and you've given
8 us two days for two of the peaks. What about the third
9 peak, did that not count?

10 DR TORRE: Sorry, when I said three, I mean there was three 12.41PM
11 events. Oh, it depends on the concentration, so the
12 concentration for that third peak was below the 250, so
13 that's been captured in that seven days. See how it's
14 21 days overall we talk about exceeding the advisory
15 recording standard. Seven days are within that 157 and 12.41PM
16 above, and then four days which is greater than the
17 250, based on those categories in that protocol. But
18 in saying that, there is data there that's estimated,
19 both estimated to measure.

20 MR ROZEN: Am I understanding you correctly, Dr Torre, the 12.42PM
21 seven days, the ones that exceeded 157 would
22 incorporate the three peak periods?

23 DR TORRE: Yes.

24 MR ROZEN: The four days, obviously only two of those peak
25 periods, and is that the 15th, 16th and 21st and 22nd? 12.42PM

26 DR TORRE: Yes, it's the 21st and 22nd, or 22nd and 23rd
27 I believe.

28 MR ROZEN: So in the period 26th-27th there wasn't the
29 concurrence over 250 $\mu\text{g}/\text{m}^3$ for a calendar day?

30 DR TORRE: For a calendar day. 12.42PM

31 MR ROZEN: I must say, the graphs don't seem to suggest

1 MS RICHARDSON: Yes, that's right.

2 MR ROZEN: You say specifically at the foot of paragraph 36
3 that you could estimate the readings in Morwell based
4 on the relationships with data from the other
5 monitoring stations and other available data sources. 12.47PM

6 MS RICHARDSON: That's right.

7 MR ROZEN: Is that referring to the same thing? Have you
8 been able, and I know you haven't had much time, but
9 have you been able in the time available to have a go
10 at doing those estimates? 12.47PM

11 MS RICHARDSON: To prepare those estimates requires a fairly
12 detailed level of statistical knowledge, and my level
13 of statistical knowledge is fairly basic. The
14 additional data Dr Torre went through with me yesterday
15 from DustTrak monitoring position for 16 February 12.47PM
16 suggests that we had a peak on that date of somewhere
17 around about 750 micrograms. Now, if we included that
18 data in this graph, we could see then that we have
19 three peaks and we're starting to build up a better
20 picture statistically of the trends in the data. 12.48PM

21 To then calculate through the possible
22 concentrations on 9 February, the only data we have is
23 for Traralgon. I've completed a very basic correlation
24 of the Traralgon PM 10 data with PM 2.5, and that
25 resulted in a correlation coefficient of around about 12.48PM
26 0.7 which suggests there is a relationship in the data,
27 it isn't a perfect correlation by any means, but
28 suggests that there is a reasonable correlation.

29 A statistician with sufficient knowledge could, on
30 the basis of that correlation and the PM 10 data from 12.48PM
31 Traralgon, take account of variables such as the

1 weather patterns at the time, the patterns and the
2 relationships in the dataset between Morwell East and
3 Morwell South, and then back through to Traralgon to
4 make some estimates as to what the PM 2.5 could be at
5 Morwell South on the 9th when we see that we have a 12.49PM
6 PM 10 peak of 100 micrograms at Traralgon.

7 MR ROZEN: Anything, Dr Torre, you can add to that?

8 DR TORRE: Yes, it's possible, but I think we might have a
9 look at that. Yes, we'll have a look at that. I think
10 when Claire did bring that up earlier, I thought, yes, 12.49PM
11 that's an interesting point, because we did use
12 Traralgon to base us to give us an idea of the bushfire
13 impact, you know, on the following days. But, yes,
14 look, we'll have a go at that. I don't know what we'll
15 come up with, but yes, we'll have a crack. Sorry, 12.49PM
16 that's our old CEO.

17 MR ROZEN: I think that's welcome. Just before leaving
18 that, if we can take into account figure 2 there up on
19 the screen, we see the reading, and I think, looking at
20 it, that looks like on about 25 February, that peak 12.49PM
21 reading of 500 µg, if I'm reading that figure
22 correctly.

23 DR TORRE: It might be 22, because that's - 21-22 is when we
24 get the bigger peak. It is difficult to read.

25 MR ROZEN: Did I understand, Ms Richardson, that you said 12.50PM
26 that from discussions yesterday there were peak
27 readings of 750 µg earlier on 16 February?

28 MS RICHARDSON: Yes, that's correct, based on the corrected
29 DustTrak data that was referred to earlier by Dr Torre.

30 MR ROZEN: If that was plotted on this figure, that 12.50PM
31 literally would be off the chart?

1 MS RICHARDSON: Yes, that's right.

2 DR TORRE: It was 700 and that was very much done under
3 post-analyses. We didn't do that, we worked that out
4 only - this is an estimate with quite a lot, you know,
5 many, many weeks after the incident. 12.50PM

6 MR ROZEN: I understand that, but I think you told us
7 earlier that your personal experience told you - - -

8 DR TORRE: It was high.

9 MR ROZEN: - - - on the day that you were in that sort of
10 vicinity, is that fair to say, that it was very high? 12.51PM

11 DR TORRE: It was very high. But to try, visibility and put
12 it to a number. You're talking about a 24-hour
13 average. I drive through, I see an event, I see quite
14 a lot of smoke, it's well below the one kilometre, I
15 know that 500 kilometres is quite a lot of smoke. What 12.51PM
16 that equates to in terms of a number, I couldn't say.

17 MR ROZEN: I understand, but that's a peak reading in the
18 vicinity of 30 times the advisory standard, if one does
19 the maths? Have I got that right? If it's around
20 about 700, 750? 12.51PM

21 DR TORRE: Yes, I think we estimated - it's an estimate,
22 around about 700.

23 MR ROZEN: Returning then to your joint report, you were
24 asked some questions about the levels of carbon
25 monoxide, this is question (d), "Did the level of 12.52PM
26 carbon monoxide exceed the relevant standard during the
27 fire period? If yes, please provide details of when
28 this occurred and for how long." You say, "For the
29 valid data available there were three days in Morwell
30 South that the levels recorded exceeded the ambient air 12.52PM
31 quality standard, 21, 22 and 26 February 2014."

1 DR TORRE: Yes.

2 MR ROZEN: The next question you were asked, "What steps, if
3 any, do you consider could have been taken to improve
4 the ambient air quality monitoring in and around
5 Morwell during the fire?" The first thing you both 12.54PM
6 say, and this is really what you've said to us earlier,
7 is that the, "The EPA air monitoring program is not
8 designed for rapid response air monitoring. In not
9 having this capability it did not have access inhouse
10 to appropriate portable instrumentation to enact rapid 12.54PM
11 deployment to measure the ambient air quality
12 initially."

13 That's something that you both, if I can go to the
14 first of your recommendations under heading (g), you
15 jointly recommend the development of Statewide rapid 12.54PM
16 response capability for air quality monitoring and
17 assessment in Victoria for all significant incidents
18 involving smoke." There's a reference to the
19 Californian Air Response Planning Alliance which
20 provides an example of a similar response. 12.55PM

21 Ms Richardson, that's something you're
22 specifically familiar with, you refer to it in your
23 report?

24 MS RICHARDSON: I do, yes. It's a protocol that was
25 developed in California in response to - I won't say a 12.55PM
26 similar incident, but an incident that had some
27 characteristics which would be similar to the one that
28 we're dealing with. There was an extended period of
29 exposure, there were attempts to complete monitoring.
30 The experience was that the information was not 12.55PM
31 provided to the community within an appropriate

1 timeframe and in a way that allowed them to make
2 decisions about their health status and the actions
3 that they should take.

4 In response to that a multi-agency
5 charter/agreement was formulated and the multi-agency 12.55PM
6 group has drawn up protocols for monitoring that
7 includes a number and positions that would be
8 recommended for different events and the types of
9 instrumentation to use and then how that information is
10 communicated to the community. 12.56PM

11 They also tried to ensure that monitoring
12 instrumentation is available to allow those actions to
13 be put into place very, very quickly in the event of a
14 major incident occurring. It was really intended for
15 wildfire response, but equally it could have applied in 12.56PM
16 the circumstance that we're dealing with.

17 MR ROZEN: The Inquiry has before it a document, exhibit 37
18 I think it is, Wildfire smoke: A Guide For Public
19 Health Officials, July 2008. I think that's a document
20 that we've asked you to examine as part of your 12.56PM
21 preparation for giving evidence?

22 MS RICHARDSON: I have reviewed that document, yes.

23 MR ROZEN: It's up there on the screen. That's a separate
24 document from the one you've just been referring to?

25 MS RICHARDSON: Absolutely, yes. This document is more akin 12.56PM
26 perhaps to an expanded protocol such as the Bushfire
27 Protocol and it goes through a number of steps and
28 procedures that can be followed.

29 The organisation that I'm talking about is
30 specifically designed to focus on air monitoring and 12.57PM
31 that capability, and then providing that information to

1 the community.

2 MR ROZEN: If we can just quickly go to the table that's in
3 this document which is at page 31. Have you looked at
4 this as part of your examination? This is the table
5 that sets out the trigger levels and responses,
6 recommended actions? 12.57PM

7 MS RICHARDSON: I did review that, yes, and had a look at
8 that.

9 MR ROZEN: Do you have any observations that you'd like to
10 make about it? 12.57PM

11 MS RICHARDSON: One of the key differences to the Bushfire
12 Protocol and the Hazelwood Fire Smoke Protocol that was
13 developed is that they also incorporate trigger
14 thresholds for 1-hour values and that's one of the key
15 differences. 12.58PM

16 The other key difference is that they adopt the
17 position of whether or not it's PM 2.5 or PM 10 that is
18 high, the criteria will apply to both. What that means
19 is that if you only have monitoring for PM 10 you still
20 apply the thresholds. If you have both PM 10 and
21 PM 2.5 monitoring data, you apply the thresholds to
22 whichever is the most stringent. 12.58PM

23 One thing I did notice from this protocol, it
24 doesn't necessarily tell you the time period over which
25 you would then determine specific actions such as
26 evacuation, and so it doesn't necessarily give us that
27 guidance. 12.58PM

28 MR ROZEN: Dr Torre, is there anything you'd like to say?
29 It's probably not a document that you've seen before
30 today? 12.58PM

31 DR TORRE: That's the purpose of the recommendation, to

1 review this and try to develop that, and develop it for
2 an Australian setting rather than just Victoria.

3 MR ROZEN: Perhaps it's an appropriate time to turn to your
4 recommendations.

5 MEMBER CATFORD: Just before you do that, Mr Rozen, just in 12.59PM
6 terms of acute periods of very high levels of PM 2.5, I
7 mean it's brought out a bit in this protocol, could you
8 just explain what the 24-hour rolling average is, and
9 particularly during a 24-hour period what would be,
10 say, the maximum level of a PM 2.5 that might have been 12.59PM
11 detected in the Morwell Fire? Because presumably
12 you're averaging out low and high levels and you're
13 smoothing it in essence, but presumably there were very
14 high levels of PM 2.5 detected in a shorter time
15 period. Do you know how high, say, a 4-hour exposure 12.59PM
16 might have reached, or a 2-hour or 1-hour in this case?

17 DR TORRE: I do recall, are you talking about just a 1-hour
18 average?

19 MEMBER CATFORD: Yes, or if you can show - so within a
20 24-hour period, let's say take this one where we had 01.00PM
21 500, that's over 24 hours. Within that, presumably
22 there are times when it was lower than 500 and above
23 500, so that my question is, how high did it actually
24 go in a shorter period of time?

25 DR TORRE: I believe, this is stretching my memory, I think 01.00PM
26 we may have got an hour result around about 1300.

27 MEMBER CATFORD: 1300, yes. And presumably that might
28 continue - - -

29 DR TORRE: I need to check.

30 MEMBER CATFORD: I would be grateful to try to get an idea 01.00PM
31 of the range within the high levels.

1 DR TORRE: I've got to go back to the data.

2 MEMBER CATFORD: Thank you.

3 MR ROZEN: If we could turn then to the recommendations that
4 you make, a couple of which we've already addressed.
5 This is (g) of your report, so we're very grateful that 01.01PM
6 between you in the short time that's available you've
7 come up with six recommendations. We've dealt with the
8 first of those, the development of a Statewide rapid
9 response. From your experience Interstate,
10 particularly in Queensland, Ms Richardson, is the 01.01PM
11 Queensland EPA, does it have that capability? Do you
12 know?

13 MS RICHARDSON: I haven't worked in any of the EPAs but
14 certainly my understanding is that both in Queensland
15 and New South Wales the focus is as Dr Torre has 01.01PM
16 explained, the focus is on the setting up and operating
17 monitoring stations to determine compliance with the
18 National Environmental Protection Measure Protocol.
19 And because that is a regulatory requirement that is
20 imposed on the States, the focus of their monitoring 01.01PM
21 capability is towards that type of monitoring, which is
22 using very fairly expensive and very high quality
23 instrumentation that takes some weeks, sometimes months
24 to install and operate.

25 I would be somewhat surprised if Queensland and 01.02PM
26 even the New South Wales EPA had the capability to
27 deploy instruments such as DustTraks, portable CO
28 monitors, in a rapid way in this sort of event
29 occurring.

30 MR ROZEN: I think you say, don't you, and I'm not quite 01.02PM
31 sure where the paragraph is, Ms Richardson, but in your

1 perspective a reasonable amount of time to be on the
2 ground doing those preliminary monitorings in an event
3 like this is about 24 hours, you think, is a reasonable
4 time for an environment monitoring agency to respond to
5 an emergency like this?

01.02PM

6 MS RICHARDSON: That's based on my own experience. I'm
7 often called out by industries that have had incidents
8 on their premises and where they're looking for
9 monitoring to be completed quickly, so that they can
10 ensure that both their personnel and the community is
11 not exposed to excessive concentrations. In those sort
12 of circumstances we're asked to provide and install
13 equipment very, very quickly, and generally we can
14 achieve that the next day if we have the
15 instrumentation available.

01.02PM

01.03PM

16 MR ROZEN: That's obviously the big if. I'm wondering if
17 there isn't scope - maybe Dr Torre you're better placed
18 to respond to this - for some Interstate cooperation so
19 that, in the way you informally were able to access
20 material from Tasmania, the various State bodies
21 jointly put resources in to having this rapid response
22 capability so that it could be deployed Interstate if
23 need be?

01.03PM

24 DR TORRE: Look, I think all options should be considered.
25 Really, that's what happened in this fire. The Fire
26 Brigade actually sourced - when the Morwell community
27 monitoring started, they started sourcing Area RAEs
28 from Queensland and even from the United States. So,
29 yes, I think all of those options should be considered
30 in terms of rationalising and making resources
31 available.

01.03PM

01.04PM

1 I think one example is the oil spill. You know
2 how they have different centres for responding to big
3 oil spills, and it's located around Australia and they
4 all get those resources when they need them; that's a
5 great idea.

01.04PM

6 MR ROZEN: That could be a good model for this. We've dealt
7 with the second of your recommendations which is to use
8 a panel of experts to review the carbon monoxide and
9 PM 2.5 protocols with a view to developing agreed
10 levels on a sort of generic basis that could be
11 deployed in future events.

01.04PM

12 DR TORRE: Sorry, it's not just carbon monoxide and PM 2.5,
13 it's also just the required emergency protocol per se.
14 I think we need to keep it, not just to CO and PM 2.5,
15 but are there other emergency protocols and things we
16 can learn and apply in emergency events.

01.04PM

17 MR ROZEN: I'm very conscious of the time, and we can all
18 read the four further recommendations that you make,
19 but I invite you, if there's anything in particular
20 that you want to say about those recommendations, to
21 further explain them. Perhaps I can start with you,
22 Dr Torre, is there anything you want to add to those
23 remaining recommendations?

01.05PM

24 DR TORRE: Just the rationale behind the statewide smoke
25 harmonisation plan. One of the practicalities of that
26 is that smoke really is prevalent in Australia; you
27 know, bushfire smoke, burning smoke, it's probably one
28 of the biggest air quality impacts, pollutants. It's
29 very hard at times to get away from the smoke in
30 Regional Victoria or Regional Australia.

01.05PM

31 There's quite a lot of good work in terms of

1 triggers and advice and protocols and we saw that in
2 Morwell South in terms of - you know, the Health
3 Departments and the Education Departments trying to
4 come up with protocols in place that are planned and
5 they can roll out when we do have these incidents to
6 minimise harm. Because sometimes you just can't stop
7 smoke no matter what level it is and going inside a
8 building or respite and all that.

01.06PM

9 It's really got to be, as we're finding through
10 the Morwell South, you really need to have the systems
11 in place and you've got to have all the networks
12 working together and the best way to do that, I think,
13 is to minimise harm because smoke is just part of
14 Australia.

01.06PM

15 MR ROZEN: Ms Richardson, anything further?

01.06PM

16 MS RICHARDSON: The only thing I would say is that, it's
17 incredibly important that the community feels that they
18 have the power to monitor for themselves and that some
19 of these recommendations we've made are to provide
20 alternate ways where the community can then take the
21 measurement that is reasonable - it isn't necessarily
22 accurate in the concerns of the monitoring that perhaps
23 the EPA would complete, but it has enough validity for
24 them to inform their own actions and to make choices
25 about the way they behave when there are high air
26 pollution events.

01.06PM

01.07PM

27 In the same that we get cards that advise us of
28 what to do in a bushfire emergency, we could have some
29 sort of system that allows some basic monitoring to be
30 completed by individuals with an understanding then of
31 how they can react and respond to the levels that they

01.07PM

1 So, in terms of coal mine fire, it's worth
2 developing and trying that, and we're trying to use
3 that. But in a bigger sense there's now quite a bit of
4 research now being done by the CRC bushfire, and one of
5 the roles there is trying to understand and to get
6 better at smoke modelling, especially from fires, so
7 they can where a lot of that activity is.

01.09PM

8 It's quite an exciting piece of work that,
9 hopefully in the next two years, it will involve a
10 number of universities and the Bureau of Meteorology to
11 be able to develop the capacity of forecasting that
12 more accurately, so it's definitely in the pipeline. I
13 think it's exciting times. We actually lost a
14 colleague to that research project after this fire in
15 terms of modelling for bushfire smoke.

01.09PM

01.09PM

16 MR ROZEN: Members of the Board, I note that it's 1.10,
17 Mr Burns tells me he's got two minutes of questions.

18 CHAIRMAN: That's fine, we'll just extend the hour, may be a
19 better way; I think I prefer to do it that way.

20 MR ROZEN: That will then complete the evidence of these two
21 witnesses.

01.10PM

22 <CROSS-EXAMINED BY MR BURNS:

23 MR BURNS: Very briefly, the first question to
24 Ms Richardson. You describe 24 hours as being the
25 appropriate time at which you thought it would be
26 reasonable to be on the ground providing a response; is
27 that right?

01.10PM

28 MS RICHARDSON: That's correct, yes.

29 MR BURNS: Has your company ever been called into a major
30 environmental hazard?

01.10PM

31 MS RICHARDSON: Not on the scale of the Hazelwood Mine Fire,

1 but I have been called into one incident where a major
2 inner city building in the Brisbane CBD as evacuated;
3 the Emergency Services were there and I was called to
4 complete monitoring on behalf of the organisation that
5 owned the premises that had caused the incident. 01.10PM

6 MR BURNS: In that circumstance, did you know exactly what
7 you'd be monitoring for?

8 MS RICHARDSON: We understood that it was volatile organic
9 compounds.

10 MR BURNS: How many people attended? 01.11PM

11 MS RICHARDSON: I went myself.

12 MR BURNS: So you were able to effectively load up your car
13 and go?

14 MS RICHARDSON: Yes, that's right.

15 MR BURNS: Your reference to 24 hours being reasonable, that 01.11PM
16 obviously depends on availability of equipment?

17 MS RICHARDSON: Absolutely, yes.

18 MR BURNS: It depends very much on the size of the
19 equipment?

20 MS RICHARDSON: You would normally use smaller equipment 01.11PM
21 that would be portable for this sort of monitoring, but
22 the issue is really having that equipment available and
23 having it in service, if you like, so that it's been
24 calibrated to the extent that you know it will be
25 reliable when you take it out on site. 01.11PM

26 MR BURNS: My question is a different one, it's about the
27 size of the equipment. Obviously, if it takes trailer
28 loads to get it down there, it's a bigger task, isn't
29 it?

30 MS RICHARDSON: That's absolutely right, but that's why you 01.11PM
31 wouldn't necessarily use that sort of equipment in an

1 emergency situation for a 24-hour response. You'd
2 generally use smaller instrumentation that is truly
3 portable and wouldn't require a large trailer to
4 transport to site.

5 MR BURNS: And that relies on the availability that 01.12PM
6 equipment?

7 MS RICHARDSON: That's absolutely right.

8 MR BURNS: And the capability to respond quickly?

9 MS RICHARDSON: Exactly, yes.

10 MR BURNS: It also depends, doesn't it, on whether the 01.12PM
11 equipment is calibrated to those particular
12 circumstances and what you're searching for?

13 MS RICHARDSON: In some respects, yes. Certainly in the
14 incident that I was involved in, we had the capability
15 of taking out sample devices that could both screen for 01.12PM
16 the VOCs and then take samples that could be
17 subsequently analysed to look for a wide range of
18 compounds.

19 In the situation of particulates, instruments such
20 as DustTraks can be available. Even if you don't 01.12PM
21 specifically calibrate to the source, they give some
22 indication as to what the impacts are and, as Dr Torre
23 has done, subsequently you can then calibrate if you
24 have other referencing instruments available to
25 complete that calibration. 01.12PM

26 MR BURNS: And when you're doing that subsequently, it takes
27 time?

28 MS RICHARDSON: Yes, it would do because you need to match
29 that the data up to determine the correlation.

30 MR BURNS: Thank you Ms Richardson. Can I just ask you 01.13PM
31 Dr Torre, when were you first contacted by the EPA to

1 provide assistance to the Incident Controllers?

2 DR TORRE: I was contacted on the 11th.

3 MR BURNS: When did you arrive on site to give that
4 assistance?

5 DR TORRE: On the 12th. 01.13PM

6 MR BURNS: When were you providing your first information to
7 assist the Incident Controller?

8 DR TORRE: I would have been provided information probably
9 by the 13th.

10 MR BURNS: So that's a day later? 01.13PM

11 DR TORRE: Yes.

12 MR BURNS: In those circumstances Ms Richardson, what do you
13 say about that? Reasonable?

14 MS RICHARDSON: In terms of Dr Torre being called out and
15 then given data, yes. But my certain is that we have 01.13PM
16 no data earlier in the event when the larger impacts
17 could have occurred, and perhaps our recommendations
18 addresses that issue in terms of having a monitoring
19 system available that could be deployed more rapidly.

20 MR BURNS: When you say earlier in the event, you understand 01.13PM
21 he wasn't contacted until the 11th?

22 MS RICHARDSON: That's right. The deployment of monitoring
23 is not necessarily the sole remit of the EPA.
24 Certainly in the situation that I was involved in in
25 the Brisbane CBD, the HAZMAT unit of the Fire Brigade 01.14PM
26 had also completed VOC monitoring before I entered the
27 premises and they would not let me enter the premises
28 until they were satisfied that it was the safe for me
29 to enter.

30 MR BURNS: You understand the fire only started on the 9th? 01.14PM

31 MS RICHARDSON: Yes, I do.

1 MR BURNS: Mr Chairman, earlier I tendered a letter, it
2 wasn't given an exhibit number. The letter from the
3 VGSO to the Board dated 22 February, could that please
4 be given an exhibit number?

5 CHAIRMAN: Is it appropriate to just treat that as part of 01.14PM
6 Dr Torre's statement?

7
8 #EXHIBIT 38 - (Addition) Letter from VGSO dated 22 February.

9
10 MR BURNS: Yes, happy for that to occur. The emails have 01.14PM
11 now been provided, I understand, that were sought from
12 Dr Torre.

13
14 #EXHIBIT 38 - (Addition) Emails sought from Dr Torre.

15 01.15PM

16 MS RICHARDS: I should just say by way of clarification in
17 relation to this letter, with the letter came a CD that
18 had a large amount of data on it. We have had some
19 difficulty identifying which of the specific data we've
20 called for is on that CD, and it does appear that the 01.15PM
21 readings taken from the CFA's handheld CO monitors were
22 not on that CD and we've been unable to identify data
23 prior to 20 February from the DustTrak.

24 What we propose to do is have a discussion with
25 our learned friends over the lunch break and try to 01.15PM
26 identify what we have and what we don't have and I'm
27 sure there's a way through.

28 CHAIRMAN: Yes. Perhaps we'll adjourn now until 2.15 rather
29 than 2.

30 <(THE WITNESSES WITHDREW). 01.15PM

31 LUNCHEON ADJOURNMENT

1 UPON RESUMING AT 2.15 P.M.:

2 MS RICHARDS: We had proposed to call two community
3 witnesses today, Vickie Hamilton from the Asbestos
4 Council of Victoria and Gippsland Asbestos Related
5 Diseases Support Inc and also one of the members of 02.20PM
6 that organisation, Ray Whittaker. Unfortunately,
7 word's come through to us over the lunch break that
8 Mr Whittaker's unwell and unable to attend today, so I
9 propose simply to tender his statement. I'm told by my
10 learned friends there were no questions for him in any 02.21PM
11 event and proceed with calling Ms Hamilton. So, if I
12 could tender Mr Whittaker's statement.

13
14 #EXHIBIT 42 - Statement of Ray Whittaker.

15 02.21PM
16 MS RICHARDS: And I call Vickie Hamilton.

17 <VICKIE DOROTHY HAMILTON, sworn and examined:

18 MS RICHARDS: Ms Hamilton, we'll start with some easy
19 questions. Can you please state your full name and
20 your address for the Inquiry?---My full name is Vickie 02.22PM
21 Dorothy Hamilton and I live at 56 Darlimurla Avenue,
22 Newborough.

23 You are the Chief Executive Officer and also the Secretary
24 of the Asbestos Council of Victoria?---I am.

25 And of the Gippsland Asbestos Related Diseases Support 02.22PM
26 Inc?---I am.

27 You have made a statement to the Inquiry. You have a copy
28 of it there in front of you, and I understand that you
29 read it recently?---Yes.

30 Were there any corrections that you wanted to make?---No, I 02.22PM
31 have already made all the corrections.

1 Is your statement true and correct?---Yes.

2 I tender that, Your Honour.

3

4 #EXHIBIT 43 - Statement of Vickie Hamilton.

5

02.23PM

6 MS RICHARDS: Ms Hamilton, you live in Newborough, have you
7 lived in the Latrobe Valley for most of your
8 life?---For 54 of my 56 years, yes.

9 That's most of were your life, so you grew up in the
10 region?---I did, yes.

02.23PM

11 You're here in your capacity as the Chief Executive Officer
12 and Secretary of those two organisations that we
13 mentioned, both of which relate to asbestos. Is there
14 a particular reason why you're involved in those
15 organisations?---My involvement became through my
16 grandfather and my father who both passed away with
17 asbestos-related disease.

02.23PM

18 Tell me about your father. Did he work in the power
19 industry here in the Latrobe Valley?---He did. He was
20 an immigrant who came out with his family at the age of
21 18 and he was finishing off his apprenticeship at the
22 SEC. All of my family had jobs at the SEC and my
23 father worked there for 38 years as a fitter and turner
24 and then later on to be a supervisor.

02.23PM

25 At any particular power station?---Yallourn A, B, C, D and
26 E.

02.24PM

27 Your father was diagnosed with an asbestos-related
28 disease?---He actually had asbestosis at the age of
29 54 years and he battled on with that and the SEC
30 actually put him out on a disability pension at 54 and
31 he passed away at the age of 67 with asbestos-related

02.24PM

1 lung cancer.

2 That experience has driven you to work supporting other
3 families who experience the same?---Very galvanised
4 about looking after people with asbestos-related
5 disease. 02.24PM

6 Can I ask you about these two organisations, Asbestos
7 Council of Victoria and GARDS, as it's known. Are they
8 different organisations?---No, they're one and the
9 same. The Asbestos Council of Victoria was taken on
10 probably March of last year to actually acknowledge the 02.25PM
11 fact that we as an organisation do a lot of asbestos
12 issues in and around, not just in Victoria but
13 nationally and overseas, so we needed to actually
14 acknowledge the fact that we're doing a lot of advocacy
15 as well as support of our people in Gippsland, so 02.25PM
16 that's why we've got the two names to actually show the
17 advocacy side as well as the support side.

18 So the Asbestos Council of Victoria is the advocacy
19 side?---That's right.

20 And the support side, which I want to talk more about with 02.25PM
21 you today, is GARDS?---(Witness Nods).

22 GARDS was established in about 1991?---That's correct.
23 So you're well into your third decade of operation
24 now?---That's right.

25 About how many members do you currently have?---We've got 02.25PM
26 about 200 financial members, but equate that with their
27 families and we've got well over 1,000 people that are
28 reliant on information and support.

29 Is membership open to someone who is suffering an
30 asbestos-related disease or is it a broader base than 02.26PM
31 that?---It's open to anybody, it's open to people with

1 asbestos-related disease as well as the broader
2 community. I would say that two-thirds of our
3 membership is made up by people affected by asbestos.

4 If you can tell us a bit about what GARDS does for its
5 members and their families?--On the support side we 02.26PM
6 actually have medical equipment, we loan out free of
7 charge to anyone in Gippsland who has an
8 asbestos-related disease and who becomes a member of
9 our Association, a whole \$3 to join, and they are
10 entitled to have any of our medical equipment, that can 02.26PM
11 be oxygen concentrators, conserving devices,
12 wheelchairs, shower chairs, we try to look after them
13 in any way we can. We have a relationship with the
14 Latrobe Valley Palliative Care fundraising, where we
15 can actually access beds and anything else that people 02.26PM
16 need to stay at home.

17 There's a social side to GARDS as well?---Most definitely,
18 we have a support group meeting once a month, we also
19 have a night meeting and we actually take excursions in
20 and around the Gippsland area and we will have speakers 02.27PM
21 of interest who come along to talk to our members, and
22 the members drive the speakers that we have to come
23 along to talk.

24 In paragraph 5 of your statement you give a fairly
25 confronting statistic which is that in the Latrobe 02.27PM
26 Valley and Gippsland there is seven times the average
27 number of mesothelioma diagnoses compared to the rest
28 of Victoria. Is that based on the Latrobe City
29 municipality or is it a broader area?---That was based
30 on the Lung Function Review done by the Victorian 02.27PM
31 Managed Insurance Authority to find out their liability

1 into the future, and that was the outcome or the major
2 outcome for me, that there was seven times the State
3 average in Latrobe Valley for mesothelioma, and for
4 every one mesothelioma, there are two to three
5 asbestos-related lung cancers and you can get up to 02.28PM
6 eight or so other asbestos-related diseases from that,
7 so it's quite extensive.

8 For the benefit of those who aren't familiar with
9 asbestos-related diseases and what they involve,
10 mesothelioma is the nastiest of a nasty set of 02.28PM
11 diagnoses; it's a malignancy?---It is; it's a tumour
12 that wraps itself around the lung and actually grows,
13 and as it grows it actually strangles the lung.

14 The average latency period between exposure or inhalation to
15 asbestos dust and diagnosis is about 35 years?---Yes, 02.28PM
16 on average for that, yes, from diagnosis. There are
17 other mesotheliomas too, it's not just pleural, there's
18 peritoneal which wraps it itself around the stomach
19 lining. There's also pericardium as well, and a couple
20 of other ones, but they're the major ones. We've had 02.29PM
21 members who have had pleural mesothelioma and
22 peritoneal at the same time, so that's a double-whammer
23 as far as I'm concerned, it's tragic.

24 The only known cause of mesothelioma is asbestos
25 toss?---That's correct, 99 per cent. 02.29PM

26 It's not curable?---No, there's no cure.

27 The median life expectancy from diagnosis is about
28 18 months?---Yes. We do get the ones out of the norm
29 that can last up to 10 years but they are rare.

30 That's the worst of the possible range of diagnoses but 02.29PM
31 you've also mentioned asbestos-related lung

1 cancer?---Yes.

2 Asbestos being a known carcinogen. There's a peculiar
3 relationship between exposure to asbestos and smoking
4 when it comes to the risk of lung cancer. Are you able
5 to explain that so that we can understand it?---In my 02.30PM
6 layman's terms because I'm not a medical professional,
7 but in my layman's terms over the time I've been
8 involved in GARDS they have a synergistic effect, so if
9 you're smoking and you've been doing any sort of
10 asbestos removal and have had no protection, then you 02.30PM
11 are 10 times more likely to get an asbestos related
12 disease from that.

13 Other asbestos-related diseases that aren't necessarily
14 fatal are asbestosis you've mentioned. Well,
15 asbestosis is a progressive disease and it actually 02.30PM
16 does become fatal in the end, so you can count that one
17 in with the others, it just takes a bit longer to do
18 its job. It basically does the same thing. Asbestosis
19 starts in the bottom of the lung generally and it
20 slowly goes up and it hardens the lung as it goes, and 02.31PM
21 so the ability to get any capacity for breathing gets
22 less and less and less and it has the same effect as
23 mesothelioma in the end, they just cannot breathe.

24 Pleural plaques is only a sign of asbestos-related
25 disease and you may not go on to get anything else from 02.31PM
26 the pleural plaques; you can be exposed and never go on
27 to get anything else, but generally asbestosis,
28 mesothelioma, they will kill you.

29 You said that there's seven times the average, the Victorian
30 average of mesothelioma diagnoses in the Latrobe 02.31PM
31 Valley. What in your view is the reason for

1 that?---This is a terrible one, but it is the power
2 stations, because majorly the power stations had a lot
3 of asbestos in them and the old power stations at
4 Yallourn A, B, C, D and E were full of it, the same as
5 Hazelwood, they all had asbestos in them. Prior to 02.31PM
6 probably 1980 it was just used any other way, any other
7 material would be used, with no safeguards to the
8 workers, and I've heard that time and time again from
9 the workers themselves.

10 Your membership either have or are living with or family 02.32PM
11 member of someone with a lung condition of some kind
12 which puts your membership in one of the groups that
13 was vulnerable to the smoke that we experienced in
14 Morwell in February and March of this year. After the
15 fire started burning in the mine on 9 February, what 02.32PM
16 were the first calls that were made on GARDS by its
17 membership?---Basically, they were moving out. Most of
18 my members were moving out or seeking extra oxygen, and
19 trying to find out details from me as to how toxic the
20 smoke was, and of course I couldn't find that out 02.33PM
21 anywhere, I was trying to access information on a
22 website or whatever, I actually couldn't find much else
23 about it. I thought, well, I'll do some research
24 online and do what everybody else does, do Mr Google,
25 and I was finding lots of horrific things on there and 02.33PM
26 I just said to them, you either get out, they were the
27 phone calls, get out or hunker down and try and
28 minimise your exposure to that smoke.

29 How early in the fire were these requests to you for
30 information?---Well, pretty well as soon as they 02.33PM
31 started smelling the smoke because it got quite

1 horrendous, especially for people close to the mine. I
2 had members who lived in Sinclair Avenue which is
3 pretty close to the mine and they were inundated, so
4 they moved out totally.

5 We're about to get the map of Morwell up on the screen. Can 02.33PM
6 you point that out?---There it is, just here.

7 So on the western side of town just south of Commercial
8 Road?---Yes.

9 You said that you were trying to find information to provide
10 to your members about the smoke and what was in it. 02.34PM

11 Where did you look for information?---On the website
12 mostly. I did try the EPA website but I couldn't find
13 out too much on there and it was quite buried, it was
14 very difficult to find stuff on that website. I

15 actually accessed some information, and it came from 02.35PM

16 the EPA in America actually, and they were talking
17 about fire and smoke and what can come out of the ash,
18 which is called fly ash, and it was horrendous. By the
19 time I finished reading that I'm thinking, oh my god,
20 you know, what is in this smoke? A lot of heavy 02.35PM
21 metals, beryllium, all sorts of things, arsenic, and I
22 was just horrified, and it was coming unadulterated out
23 of the mine and I'm thinking, oh.

24 The things I was finding out was that it could
25 affect children, it could affect organs, all sorts of 02.35PM
26 things and I just thought, where's this information?
27 This isn't being told to us, why aren't people being
28 moved out?

29 Of course I did have a conversation with someone
30 at the hospital and I said people should be being 02.35PM
31 evacuated and they said, "No, no, we don't use that

1 word, the Department of Health only use 'relocation',
2 they don't use 'evacuation'. And I went, "Well, I
3 don't care what word you use, but people need to be
4 moved out because this stuff is very dangerous."

5 You've told us that a number of your members chose to leave 02.36PM
6 Morwell at an early stage in the fire, and there were
7 other members who chose not to or - - -?---They
8 couldn't leave. They were in a situation very much
9 like Ray, whose testimony has been tendered, they have
10 responsibilities here, they couldn't go. Ray is a 02.36PM
11 unique one, he looks after his disabled son, so he
12 couldn't just take off and leave. He couldn't afford
13 to in the first instance and he tried to access
14 relocation money when that became available, but he
15 felt so guilty taking it because Ray didn't live on 02.36PM
16 that side, on the divide side of the mine fire, so he
17 lived on the other side down on Vary Street - do you
18 need me to show you where Vary Street is?

19 I think we know where Vary Street is?---He lived down there,
20 and he's told me that when he tried to access 02.37PM
21 relocation money he was made to feel guilty and that
22 they didn't believe that his son was disabled, even
23 though he had concession cards that showed that. So he
24 took \$500, I think, that he had to start with and he
25 never went back. And so, they didn't take him and his 02.37PM
26 son - because he couldn't leave his son at home so he
27 took his son over to Moe as some of the schools did to
28 try to get some relief that way for over a week, but he
29 still had to pay his son and his daughter-in-law
30 something towards food and all those sort of things, so 02.37PM
31 that \$500 didn't last long.

1 And he's set all this out in his statement?---He did.
2 There was an initial request from members for information
3 about smoke and you've told us how you went looking for
4 that information and initially didn't find it from
5 Victorian Government sources so went looking further 02.37PM
6 afield. Was there other assistance that your members
7 asked for and that you were able to provide?---Yes,
8 oxygen was the main cab off the rank, but most of my
9 sufferers are very seasoned, they know how to look
10 after themselves. They didn't access doctors because 02.38PM
11 they knew the doctors couldn't do anything for them.
12 What they did do, though, was ring up their air
13 suppliers and ask for extra oxygen to be brought in,
14 and I have had a conversation with the oxygen supplier
15 in the area and they said they were run off their feet, 02.38PM
16 and on top of that, they found it very difficult to get
17 the oxygen to them because there was fires going on at
18 the time. They had to run the gauntlet of fires and
19 roads that were closed as well as get oxygen to people
20 that were requiring it. 02.38PM
21 In paragraph 14(b) of your statement you give an example of
22 a confusing message, being a message from the Chief
23 Health Officer that there would be no long-term effects
24 of the fire. Why was that message confusing for
25 you?---Because my understanding is that there's been no 02.39PM
26 fire like this that I know in Australia, so how can you
27 say there's no long-term health effects when I've just
28 been on a website telling me of all the things that are
29 in that smoke? How can anybody say there's no
30 long-term health effects? And that statement was being 02.39PM
31 made time and time again. I had members ringing me up

1 saying to me, "Is there a study out there that shows
2 that?" I'm going, "No, I don't know of one, I have no
3 idea." And that was being said on quite a number of
4 occasions and so that sent mixed messages of how
5 dangerous was this smoke?

02.39PM

6 I'm guessing that you and your members have reason to be
7 cautious about long-term effects of inhaling
8 particles?---Definitely, and if you talk to any of my
9 members, people in positions of power have always said
10 to them, "Trust us, we're looking after you, you'll
11 just have to have faith." Well, I've got a whole
12 membership that had faith in people in powerful places,
13 and they're dying, so we don't trust anybody any more,
14 we find out for ourselves.

02.40PM

15 You've also made comment on the timing of the announcement
16 on 28 February that people in vulnerable groups, which
17 included your members, should voluntarily relocate or
18 temporarily relocate. Why was the timing an
19 issue?---Because the fire had been going on such a
20 long, long time. You know, I would have expected
21 somebody in a position of power to have come up and
22 decided, well, this is just too great, we need to get
23 people out of there, because they can't be experiencing
24 that sort of fire and smoke. So I was just blown away
25 at the fact it took so long to make those decisions.

02.40PM

02.40PM

02.41PM

26 But there was also an issue about the fact that the
27 announcement was made on the Friday afternoon; you've
28 told us in paragraph 14(c) there?---Some of my members
29 told me, they've rung me up and said, "Oh, they're
30 actually going to pay relocation money and we can
31 access it." I said, "Oh, yes?" And they said, "The

02.41PM

1 trouble is, the place is closed." I said, "Isn't it
2 raining over the weekend so that they can get people
3 out?" Well, "No, we're closed in normal business
4 hours." So I had people that were very, very confused
5 and very distressed at the fact that they had to wait 02.41PM
6 until over the weekend to get to actually put their
7 case forward to submit for relocation money.

8 You make a remark in paragraph 16 of your statement that you
9 are actually not aware of members going to the doctor
10 because of the increase in their symptoms. Why would 02.42PM
11 they not go to a doctor?---Mainly because they already
12 are controlling their own symptoms, they know what they
13 need to do to relieve their symptoms, and most of them,
14 there is no cure for what they're suffering with, so
15 the extra smoke on top just made their situation just 02.42PM
16 that much more untenable. So, they knew what they
17 needed to keep them going through all of that and that
18 was to either lock themselves in and keep their air
19 conditioning and their oxygen up or get out of the
20 area. 02.42PM

21 The last thing I want to ask you about is the clean up.
22 There is a clean up package that's been made available
23 and you've made a comment that it was inadequate. Why
24 was it not adequate?---It was like feeding strawberries
25 to an elephant for goodness sakes. A bucket with, I 02.42PM
26 think it had four masks in it with some gloves and a
27 couple of washing vouchers, for the magnitude of the
28 fire that took place with all that smoke and ash, and
29 the ash was horrendous. I had members that are still
30 physically able to clean their places saying to me that 02.43PM
31 they were washing off patios and all sorts of things,

1 and the ash was this thick on things, and this is in
2 and around the Morwell area. They were washing them on
3 a regular basis, nearly every day they were washing.
4 The bucket had masks in it and, hey, yes, it showed you
5 how to put the mask on, and, gee, we know all about 02.43PM
6 masks in our organisation, but it didn't tell them what
7 mask was for what, so they had no idea which mask in
8 the package was for what sort of thing they were
9 supposed to be wearing it for, which was - and the
10 gloves. As Ray had shown me when he brought them in, 02.43PM
11 the gloves are extra, extra large and his hands are
12 only very small - if you knew Ray, he's very small, so
13 he had this small hand with this great big glove that
14 was falling off and the gentleman beside him that was
15 accessing a bucket, he got the small one and he had a 02.44PM
16 huge hand, so there was no rhyme or reason to what was
17 in the bucket. The people that were giving out these
18 things didn't even know to tell the people which mask
19 was for what job. I thought it was totally inadequate
20 for the situation, it was just - I don't know, probably 02.44PM
21 to be seen to be doing something.

22 Then the last issue I'd like to ask you about was the
23 proposal to include in the clean up package high
24 pressure hoses for use. That was a proposal that was
25 of some concern to you; why was that?---If anybody 02.44PM
26 knows anything about high pressure hoses, they are
27 dangerous in certain situations. The EPA will actually
28 fine you if you use a high pressure hose on anything to
29 do with asbestos products. So, if you were getting up
30 to actually high pressure hose the siding on your house 02.45PM
31 and it's got paint on it, well, the high pressure hose

1 will peel the paint off, it will peel anything off,
2 which means it is taking it back to raw AC sheeting.
3 They could have been getting up on their roofs to high
4 pressure hose roofs. They could have exposed the whole
5 neighbourhood with a high pressure hose on a roof made 02.45PM
6 of asbestos. They were being encouraged to clean solar
7 panels, and the high pressure hose, well, it is
8 illegal.

9 I can't understand why Latrobe City actually even
10 went down that path because Latrobe City actually get 02.45PM
11 in there and help EPA fine people who actually use high
12 pressure hoses on roofs or anything else and expose the
13 rest of the community. I thought it was a really
14 stupid thing to do.

15 I should say, to be fair, there will be some evidence later 02.45PM
16 this week both from Latrobe City and about the
17 Department of Human Services about the design of the
18 clean up package but I won't put that to you; you just
19 know what was being provided and what was being
20 offered?---It was very inadequate for what people were 02.46PM
21 expected to do with it.

22 You were alarmed about the proposal to make high pressure
23 hoses available; what did you do about that?---Well, I
24 actually didn't know that Latrobe City were going to
25 recommend high pressure hoses until a radio presenter 02.46PM
26 rang me up, said they'd had a few concerns from the
27 community about the use of high pressure hoses on
28 asbestos in houses. I said, "No, you can't use them",
29 and it was the ABC Radio actually, and I said, "You
30 can't use those", and they said, "Would you be willing 02.46PM
31 to say that on the radio?" And I said, "Well, sure,

1 because I don't want anybody being exposed to
2 asbestos." So I went onto the radio and I actually
3 answered the comments, answered the questions that were
4 asked of me and we had a conversation around high
5 pressure hosing and asbestos. They got quite a few
6 comments, so I believe, after the radio program, so
7 there was a lot of people listening.

02.47PM

8 Subsequently the high pressure hoses were not included in
9 the clean up assistance available?---Russell Northe, a
10 member for Morwell, actually rang me up the next
11 morning and had a conversation with me about high
12 pressure hosing and him and I discussed that for
13 probably 20 minutes on the phone. Then he was, so
14 I believe, meeting with John Mitchell to have a
15 conversation, and I said, "Can you please ask him to
16 stop what he's doing about high pressure hosing." And
17 I believe that did stop with their conversation that
18 morning.

02.47PM

02.47PM

19 Thank you, Ms Hamilton. I have no further questions. Do
20 Members of the Board have any questions?

02.47PM

21 MEMBER PETERING: Thank you, Ms Hamilton. What would you
22 have liked to see on a website that would have given
23 you confidence in being able to communicate that
24 information to your members? So what sort of
25 information were you looking for?---I was looking for a
26 directive from the Department of Health and EPA to
27 actually tell us what they're actually finding from the
28 fire. I sort of believe the air monitoring didn't
29 start straight away either, so the air monitoring, the
30 quality, what was in that smoke, and the fact that, how
31 long the duration of being exposed to that sort of

02.48PM

02.48PM

1 smoke should people be left to be in it, and so that
2 they could make some judgments for themselves as to
3 whether they should evacuate. If we're not evacuating,
4 if we're not use the word "evacuate" and we have to
5 relocate, then surely the general public should have 02.48PM
6 been given that sort of information to make their own
7 learned decision and to leave at an appropriate time,
8 and not just for my people but for children in Morwell
9 and all sorts of people that were exposed that had no
10 idea. That's the sort of stuff I would have liked to 02.49PM
11 have seen on there, let alone the fact that, I didn't
12 even receive the warnings when the fire first started,
13 and then a lady from Sydney who was doing a display
14 with me on the next display got, "Leave now, fire
15 imminent." And we're standing there and all three of 02.49PM
16 us who were from the local area got nothing.

17 So, there's no co-ordination with the information
18 that was given out and it was very ad hoc, a lot of it
19 far too late, but education awareness stuff for people
20 to make their own decisions. If the Government are not 02.49PM
21 going to take a lead in it and say, you need to get
22 out, then you need to give the people what they need to
23 be able to make an informed decision as to what they
24 should do.

25 MS RICHARDS: Thank you. I've had no indication of any 02.49PM
26 questions.

27 DR WILSON: No questions, if the Board please.

28 MS RICHARDS: Thank you for your evidence, Ms Hamilton. May
29 Ms Hamilton being excused.

30 CHAIRMAN: Indeed. Thank you very much. 02.50PM

31 <(THE WITNESS WITHDREW)

1 MS RICHARDS: The next witness is Professor Chris Brook. If
2 Professor Brook could come forward please.
3 <CHRISTOPHER WILLIAM BROOK, sworn and examined:
4 MS RICHARDS: Good afternoon, Professor Brook. I'll start
5 in the usual place and ask you for your full name and 02.51PM
6 your address?---My full name is Christopher William
7 Brook, and my professional address is 50 Lonsdale
8 Street, Melbourne, Victoria.
9 You are employed by the Department of Health as the Chief
10 Advisor on Innovation, Safety and Quality?---That's 02.51PM
11 correct, that is my current title.
12 But you're here because you wear another hat during
13 emergencies, which is the role of the State Health and
14 Medical Commander, is that right?---That's correct, the
15 State Health and Medical Commander. 02.51PM
16 You've made a statement to the Inquiry?---I have.
17 You have a copy of it there in front of you?---I do.
18 It may be easier, Professor Brook, if you use the version
19 that's in the folder there provided for you because
20 we'll be navigating through the same document. Are 02.51PM
21 there any corrections you would like to make to that
22 statement?---No.
23 Is it true and correct?---It is true and correct.
24 I tender that, if I could.
25 02.52PM
26 #EXHIBIT 44 - Statement of Professor Christopher Brook.
27
28 MS RICHARDS: The role that you currently hold, Chief
29 Advisor, Innovation Safety and Quality is quite a new
30 one?---Yes, it was created in April of this year and is 02.52PM
31 a very different role that I have had held since around

1 1989.

2 It is a predominantly policy role; have I got that

3 right?---That's correct. In fact, it's basically a

4 solo operator role. It is literally a Chief Advisor on

5 certain matters of transformation and innovation within 02.52PM

6 the Department.

7 You report directly to the Secretary of the Department in

8 that role?---I do.

9 Prior to that role and in fact for many years before that

10 you have held a number of senior executive positions in 02.53PM

11 the operational areas of the Department?---Yes, indeed,

12 probably every single one except for the Director of

13 Mental Health.

14 The most recent one before your current role was the Deputy

15 Secretary of Wellbeing, Integrated Care and 02.53PM

16 Ageing?---That is correct.

17 The other senior roles that you have held include a stint in

18 the 1988-1990s, the Chief Medical Officer?---That's

19 correct.

20 Is that the equivalent of Dr Lester's position?---No, it's 02.53PM

21 not. The Chief Medical Officer is a policy role which

22 some Departments around Australia have and others do

23 not, and it's distinct from the Chief Health Officer,

24 though to make it more confusing, in some jurisdictions

25 they are one in the same. 02.54PM

26 So I'm excused for confusing the two?---Absolutely. The

27 Chief Medical Officer is the person who understands the

28 hospital and healthcare system and provides policy

29 advice in relation to specific aspects of the hospital

30 and healthcare system. The Chief Health Officer, by 02.54PM

31 contrast, is a person who has studied in population

1 health and all of its aspects, whether it be
2 epidemiology, promotion, prevention or environmental
3 health or other things and views the world through the
4 eyes of the health of the public broadly rather than
5 the health of individuals or treatment services per se. 02.54PM

6 In addition to those various senior roles, you have also
7 since 2008 been an adjunct professor at the School of
8 Medicine at Deakin University?---Indeed.

9 And you Chair the advisory board?---I indeed do still after
10 nine years. 02.55PM

11 You have had some association with Professor Catford through
12 that role?---I've had an association with Professor
13 Catford for far longer than. In fact, I was part of
14 the panel who selected him to become Chief Health
15 Officer and Director of Public Health in the Department 02.55PM
16 after I left the role of Director of Public Health.

17 And in addition to all of that, there's also the role of
18 State Health and Medical Commander which is what I'm
19 going to be troubling you about today?---Thank you,
20 yes. 02.55PM

21 You've given us an outline in paragraphs 10 and 11 of your
22 statement of what the Department of Health does. It's
23 not a frontline deliverer of health services, is
24 it?---Absolutely not. It's important to say just a
25 couple of things. The model that we adopt in Victoria 02.55PM
26 for provision of health services is best described as a
27 devolved management model; that is, we effectively
28 commission or purchase health services from other
29 organisations who are self-governed. So, whether it be
30 our own hospitals, they are State statutory 02.56PM
31 authorities, or whether it be Ambulance Victoria,

1 effectively the State Statutory Authority, or whether
2 it be other organisations, be they non-Government such
3 as many community health centres or through Local
4 Government, we are the Commissioner and purchaser and
5 monitor of services, but we occupy a very, very small
6 place in the grand scheme of things. So the Department
7 is actually a very small Department. The term that is
8 in vogue these days is subsidiarity.

02.56PM

9 Sorry, that's not a word I've come across before; say that
10 again?---Subsidiarity, it's a Jesuitical term. It's a
11 term that implies that decision-making for local
12 purposes is best made closest to where the decision is
13 going to be delivered, so that's the nature of our
14 devolved management model and it's something to which
15 we have subscribed for basically forever with rare
16 exception. So, it's not a command and control
17 department; it is a framework department. We sometimes
18 call it purchasing; we sometimes call it system
19 manager, but really it's system planner and system
20 funder.

02.56PM

02.57PM

02.57PM

21 So although the Health sector is a very large sector in
22 Victoria and the health budget is a very large
23 proportion of Government expenditure, the actual
24 Department of Health is relatively small?---The
25 Department of Health has approximately 1,300 people,
26 which is well less than 1 per cent of the entire Health
27 workforce around the State. I won't go into much
28 detail about that because I think it makes the point of
29 itself. The one exception to this is "the public
30 health", so health protection and separately population
31 health and health prevention, which is relatively

02.57PM

02.57PM

1 centralised in Victoria as compared with some other
2 jurisdictions, and that's particularly true of health
3 protection.

4 We have an organisational chart that we might bring up and
5 show to you. This is the Department of Health's
6 organisational chart from its website as at April 2014.
7 We see your role is the dark blue box immediately to
8 the left of the Secretary?---Correct.

02.58PM

9 Can you locate for us where the Chief Health Officer is on
10 the diagram?---Yes, it's in "regulation", and it's
11 right there.

02.58PM

12 Is that third column reporting through - I take it that's a
13 Deputy Secretary position there?---The person in charge
14 in the dark blue box?

15 Yes?---Is the Deputy Secretary of the regulation area. The
16 Chief Health Officer is part of that regulation
17 division, as is health protection as a function, which
18 is in the same line somewhere; yes, just above the
19 Chief Health Officer.

02.59PM

20 In that group we also find the Chief Psychiatrist, the Chief
21 Mental Health Nurse and the Chief Nurse?---Yes, Chief
22 Nurse and Midwifery Officer and the Chief Psychiatrist,
23 correct. Yes, that's correct.

02.59PM

24 As you've said, it's a fairly small Department, about 1,300
25 people. What resources are available to you to
26 discharge your office as advisor? Do you have staff
27 that assists you?---I have an executive assistant who
28 seconds as my office manager, and I have two colleagues
29 who report indirectly through me to the Secretary; one
30 is the Chief Advisor on Cancer and the other is the
31 Chief Advisor on Transformation, and there is a very

02.59PM

03.00PM

1 small Transformation office. I'd have to say it is an
2 arrangement which is different than I've had in the
3 past, in that it is more of a collective than it is a
4 line management role. I'm not sure that people want to
5 go into that too far.

03.00PM

6 That's all right, I'm just trying to gauge the level of
7 resources and I'll ask Dr Lester tomorrow about the
8 resources available to her. In terms of communications
9 assistance, where is that located within - assistance
10 with communicating with the public, where is that team
11 located within this structure?---We're talking the
12 contemporary structure, so you would find
13 communications in the corporate resources area, but
14 you'd also find communications in certain specific
15 areas. So for example, health protection which is a
16 branch has an element of communication function, in
17 fact one person; the Health and Human Services
18 Emergency Management Group, which is a shared service
19 actually run by the Department of Human Services but
20 reporting and responding to both Departments, a vestige
21 of our history of being one Department, that has a
22 communications function. So, there is not one single
23 communication function and they do serve different
24 ends.

03.01PM

03.01PM

03.01PM

25 The other capability that I'm looking for in this
26 organisational chart is environmental health
27 expertise?---Yes, environmental health expertise is
28 within the health protection branch, so it's a specific
29 group within the health protection branch as it has
30 been since time immemorial.

03.02PM

03.02PM

31 What is within the environmental health branch? How many

1 people?---It is at present, I understand, 8.9 EFT but
2 that does not include the Senior Medical Advisor within
3 the office of the Chief Health Officer. So, if you add
4 those together you come up with approximately 10 EFT;
5 that covers the gamut of environmental health. The 03.02PM
6 resources within the Chief Health Officer's group are
7 relatively new, that office was significantly beefed up
8 a couple of years ago so that we had much stronger
9 depth and the potential for succession planning, which
10 has not always been the case in the past. 03.03PM

11 Could I include this organisational chart with Professor
12 Brook's statement, please?---If I may, I need to point
13 out that your questions relate to my current role, not
14 to the resources that may have been available to me in
15 the past. 03.03PM

16
17 #EXHIBIT 44 - (Addition) Department of Health's
18 organisational chart as at April 2014.

19 MS RICHARDS: Perhaps for completeness I should ask you to
20 point out significant variations because it is a very 03.03PM
21 new role that you are in?---That's right.

22 So does this look like it looked on 9 February?---No, it
23 looks nothing like it looked on 9 February. At that
24 point in time I was the Deputy Secretary of Wellbeing,
25 Integrated Care and Ageing. 03.03PM

26 Which is not a heading that I see on the new organisation
27 chart?---No, you won't find it there. That was a very
28 large division, the largest in the Department,
29 approximately 450 people which included health
30 protection and health prevention, but it also included 03.04PM
31 aged care, Aboriginal health, human resources, and what

1 what was called integrated care so it was a
2 wide-ranging portfolio. It was a big job, but it was
3 an operational job essentially in terms of making sure
4 that all those things happen. I don't think it makes
5 much difference in fact to my role as State Health and
6 Medical Commander.

03.04PM

7 And let's move to that. You've set out for us in part C of
8 your statement an explanation of the role of the
9 Department of Health in emergency management. We've
10 all become fairly familiar with some of the concepts in
11 emergency management, including command and control and
12 coordination, to cut a long story short, the Department
13 of Health will be the control agency for some kinds of
14 emergencies?---More specifically, the Chief Health
15 Officer will be the Incident Controller - that is, in
16 charge of everything for specific forms of emergency
17 management as detailed in the Emergency Management
18 Manual Victoria, so they are human disease including
19 epidemic, food, water and radiological and biological
20 incidents, hazards, should they arise. It's restricted
21 to those only.

03.04PM

03.05PM

03.05PM

22 An example of the work of the Chief Health Officer
23 as Incident Controller in fact is indeed the very same
24 Chief Health Officer but at the time acting, in
25 relation to the Swine Flu or H1N1 Flu epidemic of 2009.

03.05PM

26 Yes, that was the example I was about to put you, but you
27 beat me to it.

28 MEMBER PETERING: I just want a clarification in my own mind
29 that the terminology is the same in the CFA structure
30 of Incident Controller, but the two roles are not at
31 all related?---Every declared emergency management

03.06PM

1 event of scale will have a controller and, depending on
2 the circumstances, that may be at incident level, it
3 may be at regional level or it may be Statewide. For
4 public health emergencies of the type I have described,
5 the Chief Health Officer is the Incident Controller. 03.06PM

6 To all intents and purposes under the AIMS, the
7 Australian Incident Management Scheme and/or the ICS,
8 the Incident Control System, to all intents and
9 purposes the functions are the same, but the agency
10 function is different. For example the Fire Services 03.06PM
11 Commissioner actually pretty much directly runs, pretty
12 much directly, Fire Services. The Chief Health
13 Officer, as Incident Controller for very specific
14 purposes, is unlikely to actually run the health
15 services or other responders or agencies who need to be 03.07PM
16 drawn in.

17 MS RICHARDS: So it's an all hazards, all agencies
18 model?---Absolutely.

19 And the identity of the Incident Controller and the agency
20 from which they come will vary depending on the nature 03.07PM
21 of the emergency?---They are pretty much prescribed in
22 the Emergency Management Manual of Victoria and, as I'm
23 sure you have heard plenty of evidence about under the
24 new arrangements, in no small part resulting from the
25 Royal Commission into the 2009 Bushfires, makes subtle 03.07PM
26 changes to that so that the role of the Fire Services
27 Commissioner becomes much more paramount than was the
28 case before. But the point of ICS or the Australian
29 inter-agency incident monitoring system is that the
30 same structures - - - 03.08PM

31 We have to correct you there, Professor Brook, we were told

1 very clearly by Commander Katsikis that it's the
2 Australasian Integrated Incident Management
3 System?---Integrated? Beg your pardon, I apologise.
4 Sorry, I interrupted you. The role that the Department of
5 Health takes more usually in an emergency is as a 03.08PM
6 support agency?---Yes.
7 It's an unfortunate reality that with emergencies come
8 health consequences and that is why there is a State
9 Health Emergency Response Plan that sits alongside the
10 State Emergency Response Plan?---Technically it sits 03.08PM
11 beneath the State Emergency Response Plan which in turn
12 is created only because of the Emergency Management Act
13 and the Emergency Management Manual of Victoria. So,
14 it's not legislated but it is subsidiary legislation.
15 You've provided a copy of the State Health Emergency 03.09PM
16 Response Plan with your statement. Do I understand it
17 correctly to be designed to ensure that the health
18 response to an emergency meets the needs created by
19 that emergency?---It focuses very much on health
20 service needs, so that needs to be said from the 03.09PM
21 outset, but, yes, it is entirely oriented to making
22 sure that pre-hospital and hospital and other care that
23 is required to relieve harm or to treat illness and/or
24 harm and to prevent disability and death is put in
25 place as needed. 03.09PM
26 So it's very much about assessing whether the pre-hospital
27 and hospital services that are available are sufficient
28 to meet the need and, if they're not, being able to
29 bring more resources in?---Being able to recruit more
30 resources within the existing system through scaling up 03.10PM
31 of activity or downscaling of other activities and/or

1 bringing resources to bear at a local level if it is a
2 local or geographically confined or spatially confined
3 emergency management incident, which is often the case
4 but by no means always.

5 You have provided us with very helpful diagrams. These 03.10PM
6 diagrams are always easier to understand than a lot of
7 text. If we could look at that, it's under
8 paragraph 26 on page 5. The line of control is
9 whatever the line of control will be for the control
10 agency that is dealing with the incident; in this case 03.10PM
11 we had a major fire so we have the Fire Services
12 Commissioner sitting up the top?---That's correct.

13 Then if you could concentrate on the health side and explain
14 how that works?---You will see that there's the State
15 Health and Medical Commander, now that is myself or my 03.11PM
16 Deputy and that's pretty much it. I am called a
17 Commander, not a coordinator, even though the major
18 function of the Department is co-ordination. I'm
19 called a Commander because an important part of the
20 role is in fact to be able to command resources as 03.11PM
21 needed, essentially by direction. If that title is not
22 there, it means that there's something, there's a gap,
23 there's something missing in terms of the capacity to
24 direct resources.

25 It's also called Commander because one of the 03.11PM
26 agency who is a State owned or State health service, is
27 Ambulance Victoria which runs on a command and control
28 model.

29 There's two arms, we'll start with the command
30 side, so the State Health Commander is a person 03.12PM
31 appointed by the State Health and Medical Commander and

1 you'll see that runs down a cascade, State Health
2 Commander, Regional Health Commander, Incident Health
3 Commander and so on.

4 The State Health Commander and each person in his
5 chain will nearly always be a senior Ambulance Victoria 03.12PM
6 officer; that's because they are essentially the
7 pre-hospital response capacity of the healthcare
8 system, and they are us, so they're our arms and legs.

9 On the other side, the State Health Coordinator is
10 the person who actually manages for us the function - 03.12PM
11 function, not physical facility - called State Health
12 Command and, through that, runs the same chain. So we
13 have a State Health Coordinator, a Regional Health
14 Coordinator and then we go back to Hospital Commander,
15 because within a hospital, we're now dealing with a 03.13PM
16 single agency so we're losing the multi-agency
17 approach. So, should a hospital need to declare an
18 emergency or have it declared to them, then the
19 Hospital Commander is a particular position within that
20 institution. Does that help you? 03.13PM

21 Just to explain the difference between the command stream
22 and the co-ordination stream; what are the differences
23 in the two functions ?---The State Health Coordinator
24 is, if you like, the creation of the health command -
25 what we call health command within the Department, but 03.13PM
26 co-ordination.

27 Is that the person who goes and finds the resources that you
28 need to match the unmet need?---Basically, that would
29 be me. So I would direct the deployment of resources
30 as a rule or whoever is delegating for me. But the 03.14PM
31 State Health Coordinator is a person who runs a series

1 of functions which are designed to do the standard
2 incident control system matters. So there's a
3 planning, if you like intelligence function, there is
4 an operations function of a sort, though the operations
5 are devolved, therefore indirect, and there's a 03.14PM
6 logistics function. Now, there may be different parts
7 and there may be different cells created as is flexibly
8 allowed in that arrangement, but they are the people
9 who essentially ensure that the Department acts as a
10 support agency no matter what risk, no matter what 03.14PM
11 hazard, no matter what the size and scale of the event.

12 The command side tends to be direct response,
13 usually pre-hospital and, as I've said, it's nearly
14 always Ambulance Victoria senior officers.

15 Just to round that off and to be completely clear about the 03.15PM
16 distinction between your role and the Chief Health
17 Officer's role, you've already explained to us how the
18 Chief Health Officer is an Incident Controller for
19 certain kinds of emergencies. In other incidents where
20 she's not in control of the incident, she provides 03.15PM
21 advice and support to the Control Agency about public
22 health consequences of the emergency.

23 MEMBER PETERING: Could you repeat the question, please, we
24 got interrupted.

25 MS RICHARDS: The Chief Health Officer, when she's not being 03.15PM
26 Incident Controller, for example a fire, has a role in
27 providing advice and support to the control agency
28 about the public health consequences of the
29 emergency?---The Chief Health Officer is a statutory
30 role which is created under the Health and Wellbeing 03.16PM
31 Act of 2009. The Chief Health Officer is entirely

1 separate from the State Health and Medical Commander.
2 Having said that, at the time of the Hazelwood Fire,
3 for line purposes only I was her manager but not for
4 professional or any other advisory purposes. The Chief
5 Health Officer acts as a support, or part of the 03.16PM
6 support system for any emergency event should it be
7 needed for those public health issues that quite
8 frequently arise, but the Chief Health Officer also
9 operates somewhat independently in any event because
10 the Chief Health Officer has both general and specific 03.16PM
11 powers and is considered not just to be somebody who
12 advises the Incident Controller but the most senior
13 advisor to Government on matters of public health and
14 is treated accordingly.

15 So advice and support, not only to the control agency, but 03.17PM
16 to all of Government about public health consequence of
17 an emergency?---Correct.

18 If I can, at the risk of oversimplifying things, summarise
19 it like this: The Chief Health Officer's role in a
20 non-health emergency involves public health advice, and 03.17PM
21 your role as the State Health and Medical Commander
22 involves the health response?---That's absolutely
23 right. My role is to make sure that things get done,
24 if I can put it as bluntly as that, and the role of the
25 Chief Health Officer is to provide professional advice 03.17PM
26 about the issues and the need for particular responses
27 as may be perceived in certain circumstances.

28 That brings us eventually to the Hazelwood Mine Fire. You
29 deal with this in section G of your statement, or
30 starting in section G of your statement. You tell us 03.18PM
31 at paragraph 44 that you were advised on 9 February

1 that there was a fire in the mine. Do you recall how
2 and when you first became aware of that?---Yes. On
3 Sunday, 9 February I had a conversation with the State
4 Health Coordinator who happened to be the Deputy Health
5 and Medical Commander, it was a telephone conversation 03.18PM
6 in which we discussed what was happening, and it was
7 known only at that point in time that there had been
8 some spotting, no-one was quite sure from what
9 bushfire, but there'd been some spotting in the
10 Hazelwood Mine and that's as much as I really knew as 03.18PM
11 of 9 February. The situation evolved from that time
12 forward.

13 It's important to emphasise that there were a
14 tremendous number of fires active in the State on
15 9 February, including very large fires at Mickleham and 03.19PM
16 in East Gippsland, and so there was a lot of smoke in
17 the atmosphere, there was a lot of active fires and a
18 tremendous amount of activity occurring. As a result
19 of that notification, a State Health Incident
20 Management Team was established and it met the first 03.19PM
21 time the following day.

22 On the Monday?---On the Monday.

23 I understand from paragraphs 44-46 of your statement that
24 your focus on the Hazelwood Mine Fire really sharpened
25 on Saturday, 15 February. Have I understood that 03.19PM
26 correctly?---The weekend of 15 and 16 February was when
27 really the fire became something quite dramatically
28 different, consistent with the evidence I think you've
29 previously heard, but the reality is that, due to
30 prevailing weather conditions and the luck or not of 03.20PM
31 the firefighting effort, that fire had grown by that

1 weekend to be a completely different event. So we
2 actually had a period of time during the first week
3 when it was predominantly bushfires and with some
4 activity in the mine, with no clear idea of what that
5 might mean.

03.20PM

6 Professor Brook, I think there's a difference of view
7 between those who were in Morwell and those who were in
8 Melbourne about how smoky it was here?---Yes.

9 From your point of view, you became aware on 15 February
10 that the fire was very serious and that the conditions
11 in Morwell were extremely smoky, is that fair to
12 say?---15th and 16th.

03.20PM

13 15th and 16th, that weekend, and that informed actions that
14 you took in the following week?---Yes.

15 You've told us that there was a State Health Incident
16 Management Team formed on the 10th and a Regional
17 Health Incident Management Team was formed the follow
18 Monday, the 17th?---The 17th, correct.

03.21PM

19 What does a Regional Health Incident Management Team
20 do?---The Regional Health Incident Management Team also
21 brings together the relevant parties at a regional
22 level. Perhaps what's important in terms of the
23 Regional Health Incident Management Team is, it brings
24 together local health services, as well as other key
25 contributors at a regional level who will form part of
26 the response and eventually relief and recovery.

03.21PM

03.21PM

27 Within that Regional Health Incident Management
28 Team was not just the regional office but also Latrobe
29 Regional Hospital, Latrobe City Council, Latrobe
30 Community Health Service and the Medicare Local -
31 theoretically, the organising body for general

03.21PM

1 practice, so they were at least in that space and that
2 group met virtually daily.

3 Was Ambulance Victoria involved in that group?---I should
4 have mentioned Ambulance Victoria, yes, they are
5 involved in that group as well.

03.22PM

6 Obviously a fundamental part of your role as the State
7 Health and Health and Medical Commander is to assess
8 whether available medical services or health services
9 are meeting the need. How did you set about doing that
10 in that week starting 17 February?---I think that's
11 listed in my statement, and I don't know that it's
12 necessary to go through it paragraph by paragraph.

03.22PM

13 What we formalised as quickly as we could during that
14 week were arrangements which had to that point in time
15 been substantially by discussion. So we received
16 progressively daily information about what was
17 happening in Ambulance Victoria, call-outs particularly
18 for priority cases and particularly priority
19 respiratory cases; what was happening in presentations
20 to the emergency department of Latrobe Regional
21 Hospital, what was happening at nurse on-call. We did
22 that because we'd actually prioritised nurse on-call as
23 a place for the community to call.

03.22PM

03.23PM

24 Yes, we see that in the advisories that we - - -?---And also
25 in information which we put in place, specific
26 mechanisms to obtain about what was happening with
27 local general practice. We don't control, fund or
28 manage general practice, so we needed to put in place
29 specific mechanisms. Indeed, many of these things
30 needed to be quite specific mechanisms because
31 administrative information does not arrive in an

03.23PM

1 instantaneous fashion so that we had to put in place
2 collection instruments for all of these things.

3 From the 16th you had an information flow from Ambulance
4 Victoria about their call-outs and in particular
5 call-outs that were related to shortness of breath or 03.24PM
6 to chest pain?---Yes.

7 From the following day you had a daily report from nurse
8 on-call?---Yes.

9 On 19 February there were medical officers in the Health
10 Protection Branch who were contacting general 03.24PM
11 practitioners directly?---Yes.

12 There was also as I understand it some contact made through
13 the Medicare Local?---Yes. So, the first approach was
14 to directly contact each of the 19 identified general
15 practices to try and ascertain where they were at. It 03.24PM
16 was important to make contact with them directly;
17 thereafter we set in place regular reporting from the
18 Medicare Local because that is the natural organising
19 body or organising function. Ideally we would work
20 through in all circumstances, but this is the first 03.24PM
21 time we've actually had an incident of this sort since
22 the creation of Medicare Locals. It'll be interesting
23 to see what happens now that they're all about to
24 change again.

25 Were there also enquiries made of Latrobe Regional 03.25PM
26 Hospital?---Sorry, did I not mention that?

27 You certainly do in the assessment report which I'm going to
28 take you to shortly?---Yes, I think from the 15th, I
29 think it's right to say from the 15th the regional
30 office received daily reports from Latrobe Regional 03.25PM
31 Hospital and that was passed on.

1 Were there enquiries made of the Latrobe Community Health
2 Service?---They sat on the Regional Health Incident
3 Management Team, but we didn't make specific enquiries
4 of them in relation to presentations, simply because
5 they're a diverse provider of a whole range of services 03.25PM
6 across both health, human services and indeed other
7 functions, and they are not a primary clinical care
8 provider, but they had every opportunity to give input
9 through what's called the RHIMT, if you like, the
10 Regional Health Incident Management Team. 03.26PM

11 So from those various sources of data there's been an
12 assessment prepared which is Attachment 4 to your
13 statement?---That's correct.

14 It's entitled, "Assessment of short-term health impacts in
15 Morwell and the Latrobe Valley." Perhaps it would be 03.26PM
16 more accurately entitled, "Assessment of demands on
17 health services in the Latrobe Valley"?---Yes.

18 Obviously there's a correlation between the two, but one
19 does not equal the other, does it?---Yes. Almost by
20 definition the State Health Emergency Response Plan 03.27PM
21 focuses on health services and focuses on immediate
22 impact.

23 Yes, that's what it's for?---To the physical health.
24 There's a whole separate discussion about well-being
25 and one in which I know the panel has interest. This, 03.27PM
26 at risk of straying, takes us into the distinction
27 between response and relief and recovery. Suffice to
28 say we're involved in both, but this is indeed, as you
29 correctly say, measurement of health service response
30 and its adequacy or otherwise because of this mine 03.27PM
31 fire.

1 This document is a very useful assessment of the demands
2 that were being made on the health services that were
3 polled, if you like, during February and March 2014,
4 but you wouldn't claim that it represents a
5 comprehensive assessment of short-term health impacts
6 from the fire?---I think that it does to the extent
7 that it measures the requirement for people to access
8 health services.

03.28PM

9 Yes?---There are other aspects of health that we can take as
10 broadly as we like, which I'm happy to discuss, that it
11 doesn't capture. But, as I say, it's important to try
12 and determine what of those belongs under the heading
13 of "response" and what of those belongs under the
14 heading of "relief and recovery", with which we are
15 intimately involved, what is short and what is
16 long-term.

03.28PM

03.28PM

17 I think my question was, you wouldn't claim that this
18 document represents a comprehensive, and that's the
19 word I emphasise, assessment of the short-term health
20 impacts of the Hazelwood Mine Fire?---I can only repeat
21 that it does represent a comprehensive assessment of
22 the demands placed on health services, the needs of the
23 community, as measured through that route; that is what
24 it measures.

03.28PM

25 Perhaps you can take us through that and tell us what your
26 researches indicated about the demands on health
27 services?---Yes. What the summary of that report says
28 is that there in it fact was no statistical increase in
29 presentations to the Latrobe Regional Hospital
30 emergency department, of course a major regional
31 hospital just down the road. That's not to say that

03.29PM

03.29PM

1 that emergency department was not busy at times,
2 emergency departments often are, but not because of
3 presentations associated with the Morwell Mine Fire.

4 There was no statistical increase in ambulance
5 call-outs for respiratory disease, chest pain 03.29PM
6 particularly. There was some increase in calls to
7 nurse on-call, but one would hardly be surprised at
8 that because that was where we had promoted as first
9 port of call for the community, and there was again, we
10 thought entirely predictably, an increase in demand on 03.30PM
11 general practices with exacerbation of respiratory
12 symptoms most particularly, but irritation, headaches,
13 sore eyes, sore nose, blood noses, that sort of thing,
14 more importantly asthma - again, things that we would
15 have entirely predicted. 03.30PM

16 Fortunately that was within the capacity of those
17 general practices who still reported to us that they
18 were able to see patients on an urgent as needs basis.

19 So that was probably the largest area of increased demand
20 for services that this assessment identified from 03.30PM
21 general practitioners?---Yes, I think definitely.

22 The picture that emerges is that general practitioners were
23 stretched, they were very busy, but they were able to
24 meet the demand for their services?---Yes, I think it
25 was a variable pattern. There were different 03.31PM
26 reportings from different general practitioners; again,
27 that is actually pretty normal in general practice.

28 Can I just ask you about the information that was collected
29 from general practitioners. There's a heading on
30 page 20 of the document, "Data Sources, Time Periods 03.31PM
31 Covered By Data Sources." In the last sentence it

1 says, "GP clinic activity was collected between
2 19 February to 4 April and is reported for the period
3 28 February to 4 April." Why is the activity that was
4 collected for the period 19-27 February not included in
5 this assessment?---I believe that's because there 03.31PM
6 wasn't an instrument. So the first reporting was by
7 telephone contact, it was qualitative information, it
8 took a couple of days to conclude, and I believe that
9 effort was being put in to try to make sure that there
10 was an instrument that allowed for epidemiological 03.32PM
11 comparative information to be collected, which is
12 absolutely not the case normally for general practice.
13 I believe that to be the case, but I'm happy to take
14 that further and provide further information should you
15 wish. 03.32PM

16 I'd be grateful if you could clarify the reason for that
17 gap?---Yes.

18 Because one would have expected, given what we've been told
19 over the last couple of days about peak periods of
20 smoke, for there to have been some quite significant 03.32PM
21 activity in the week following 15 and 16 February, and
22 also around 21 and 22 February?---The first contact -
23 again, I have to say that in the first few days it was
24 anecdotal information only; didn't suggest that, but of
25 course it did suggest that there'd been an increase in 03.33PM
26 activity which we fully expected.

27 One other clarification about the sources of data that went
28 into this assessment. The Latrobe Regional Hospital
29 data was only emergency department presentations; is
30 that correct?---Yes. 03.33PM

31 So, it didn't pick up outpatient consultations for existing

1 patients?---No, it didn't, and this relates to a range
2 of issues about the difficulty or otherwise of
3 collating that kind of information, even in a system
4 that's based on activity-based funding. More
5 fundamentally, you know, I could observe that it didn't 03.33PM
6 contain inpatient admission information, but the two
7 correlate, so presentations to emergency departments
8 and subsequent urgent inpatient admissions do
9 correlate. Unfortunately it takes approximately
10 two months to get that information from routine back to 03.34PM
11 capture sources.

12 The other part of the picture that may be missing is
13 specialist consultations. For example we just heard
14 from Ms Hamilton that people with diagnosed asbestos
15 diseases, you would expect them to have a relationship 03.34PM
16 with a respiratory physician, would you not?---We did
17 talk, and you may wish to ask the Chief Health Officer
18 when you take her to the witness stand about the local
19 respiratory physician at Latrobe Regional Hospital. We
20 certainly communicated with the local respiratory 03.34PM
21 physician who was quite supportive of what we were
22 saying and what was going on, so this is, I have to
23 admit, purely anecdotal. We don't have a mechanism
24 particularly of capturing private specialist
25 information. 03.34PM

26 MEMBER CATFORD: I wonder if I could ask Professor Brook,
27 thank you very much for your very full statement, but
28 just in terms of general practice clinic activity, I'm
29 just trying to understand, was this essentially
30 qualitative information or was there quantitative 03.35PM
31 information, because I don't think we have any counts

1 of any attendances. Certainly, the detail towards the
2 end of the document on page 22-23 seems to suggest it's
3 really qualitative, it's sort of measuring experiences
4 or increases. So, I'm just interested to know whether
5 there are any hard numbers behind that figure 4 which 03.35PM
6 has some sort of categories of attendance without any
7 sort of underlying details of what, for instance,
8 increased activity means compared to stained
9 activity?---My understanding is that we do not have
10 hard numbers. In terms of, we tried to make it as 03.36PM
11 simple as possible for the general practitioners
12 involved to provide information to us so that there
13 were categories only, as I understand it. It does,
14 however, demonstrate one of the great failings of the
15 Australian healthcare system, which is that we do not 03.36PM
16 collect routine information on why people go to the
17 general practice or for that matter private
18 specialists. Our system just simply doesn't do it, it
19 records transactions only. Sorry, that was gratuitous.

20 MS RICHARDS: Which leads very nicely into the next question 03.36PM
21 I was going to ask you, which is that there were
22 clearly a number of short-term health effects
23 experienced by people living in Morwell and more
24 broadly in the Latrobe Valley, sore eyes, blood noses,
25 coughs, nausea, that wouldn't necessarily prompt them 03.36PM
26 to seek medical attention?---They may or may not, and
27 there is absolutely no question about all of that being
28 absolutely true. Our predominant concern was that
29 people with existing chronic conditions, especially
30 respiratory and cardiac conditions, would deteriorate. 03.37PM
31 The short-term effects of exposure to smoke,

1 particularly particulate matter are extremely well
2 recognised, as indeed is long-term exposure; the
3 difference between the two being whether it's days to
4 weeks or years or more, and if we talk about that more
5 in relation to the long-term health study, if you would 03.37PM
6 prefer we could discuss that distinction then.

7 No, my question was a much simpler one, it is really just to
8 make it clear that not all the short-term health
9 effects are captured in this study because not all the
10 short-term health effects led people to engage in the 03.38PM
11 transactions that you just identify?---I fully accept
12 that.

13 MEMBER CATFORD: Have you ever thought about contacting
14 pharmacists? Because of course many people will go to
15 see their pharmacist often before they see their GP. 03.38PM
16 Was there any indication of increased attendances or
17 purchasing patterns or anything like that?---Professor
18 Catford, the answer to that is, no, we did not approach
19 pharmacists. It's an interesting question, we have in
20 the past contemplated how we make best use of the 03.38PM
21 pharmacists' services, for example in the H1N1
22 influenza pandemic, but we didn't in this instance. We
23 were trying to focus on the things that were
24 specifically relevant to SHERP and the role of the
25 State as Health Commander/Health Coordinator. 03.39PM

26 MS RICHARDS: So the purpose of this entire exercise we've
27 just been through was for you to gain an understanding
28 of whether the available health services were adequate
29 to meet the demand and your conclusion was that they
30 were?---For the purposes of pre-hospital and hospital 03.39PM
31 care and the requirements of the SHERP, yes, but we

1 didn't actually finish there.

2 Notwithstanding that assessment and the reassuring
3 conclusion that you were able to draw from it, you did
4 take steps in that week to set up the community Health
5 Assessment Centre. Can you tell the Board why it was 03.39PM
6 that you identified that as a necessary step?---The
7 fact that health services, as I have defined them, were
8 able or adequate to cope with the specific health
9 service demands of the community did not, as you have
10 identified, allay the concerns, anxieties and fears of 03.40PM
11 the community. Very much through the course of that
12 week those concerns were growing, and we felt that, as
13 part of, if you like, a communication but also a
14 reassurance strategy, we needed to do more.

15 For that reason on 19 February, after some broad 03.40PM
16 discussion, we established what became known as the
17 Community Health Assessment Centre. We did so very
18 conscious of what we were trying to do, which was not
19 to replace primary care, not to replace general
20 practitioners, not to replace Latrobe Regional Hospital 03.40PM
21 and its emergency department, nor load onto it new
22 activities that an emergency department doesn't need,
23 but to provide a capacity for anybody in the community
24 to attend, free of charge, a centre that would provide
25 basic health assessment, that would provide as it turns 03.41PM
26 out measurement of carboxyhaemoglobin, that is, the
27 impact of carbon monoxide in the blood, and to provide
28 both information and reassurance through personal
29 interaction. That centre which was set up in the
30 Morwell East shopping centre - - - 03.41PM

31 Co-located with the Ambulance Victoria branch?---It was

1 co-located with the old rural Ambulance Victoria
2 regional headquarters which was a physical space
3 available to us. The reason that the Morwell East or
4 Mid Valley Shopping Centre was chosen was multi-fold;
5 it is something of a hub, it is a place that has ample
6 car parking, it does have bus transport, and we had the
7 physical facility to be able to establish this entity
8 which was not readily available anywhere else. It's a
9 clinical entity, it needed the capacity to have privacy
10 and confidentiality to the persons attending. That was
11 managed and staffed by Ambulance Victoria paramedics in
12 conjunction with nurses derived from the Latrobe
13 Regional Hospital, the Community Health Centre and
14 other places.

03.41PM

03.42PM

15 It ran from 21 February. It did take us a short
16 period of time to establish, primarily because we had
17 to actually bring material from Melbourne to equip it
18 and to ensure we had adequate rosters; it ran from
19 8 a.m. to 8 p.m. from 21 February until 30 March when,
20 at the end, we closed it at a time after demand for it
21 had really reduced almost to nothing.

03.42PM

03.42PM

22 There was a very short period between the decision to
23 establish the centre and it opening its doors. How did
24 you go about communicating the existence of the centre
25 and its availability to people living in and around
26 Morwell?---It was public media and it was - my
27 recollection is that the local press was engaged but
28 also some public media and there is a communications
29 exercise in its own right. The interesting thing
30 really is that, for the first couple of days, it had
31 relatively low attendances, but I think, as happens a

03.43PM

03.43PM

1 lot in events of this sort, word-of-mouth meant that by
2 around about the third day attendances had soared and
3 remained very high. In the end 2,072 people were
4 assessed at that site, which is if you like to think of
5 it, a fairly significant part of Morwell's population. 03.44PM
6 Yes, and that's over approximately a five week
7 period?---With most of the presentations occurring
8 relatively early on.

9 Although you'd not identified any particular unmet need in
10 the health services available, clearly there was a need 03.44PM
11 that this Community Health Assessment Centre did
12 meet?---As I've said, we saw this as a really important
13 initiative to try and assist the community for two
14 purposes: Provision of information and reassurance,
15 but also to provide basic healthcare assessment. It 03.44PM
16 was quite novel, we'd never attempted anything like
17 this before, and it was well received in my view by the
18 community. You could put this into a number of
19 different categories; one is primary health benefit and
20 the other is communication. 03.45PM

21 And community engagement?---Very much community engagement,
22 no question about that.

23 I'll come back to that, but before I do explore that
24 question of community engagement I'd like to ask you
25 some questions about the area of aged care?---Yes. 03.45PM

26 There are a number of aged care facilities in Morwell. We
27 had some evidence yesterday about schools and early
28 childhood centres, but of course another vulnerable
29 group are older people. The formal advice from the
30 Chief Health Officer identified older people as people 03.45PM
31 65 and over. Am I right in assuming that as that age

1 increases, so does the vulnerability to smoke as a
2 general proposition?---There's obviously a general
3 relationship between age and vulnerability, but
4 vulnerability is usually classified according to a
5 person's state of health rather than necessarily their 03.46PM
6 biological age. But of course there is a general
7 relationship between age and health.

8 People who receive aged care services on the other
9 hand, whether they be home and community care services,
10 which we fund predominantly through Local Government, 03.46PM
11 or whether they are recipients of community care
12 packages, which are Commonwealth funded but it's
13 essentially the same provider, or whether they're in
14 residential aged care, which is actually a Commonwealth
15 function but there are some public sector residential 03.46PM
16 aged care facilities, are all vulnerable in different
17 ways and different approaches were taken throughout
18 this to approach each of those different groups.

19 To begin with I'd like to identify the aged care residential
20 facilities that exist in Morwell. I've been able to 03.47PM
21 identify three, but you will probably have more
22 complete knowledge than mine. There is St Hilary's
23 that's run by Bapcare which is located in Elgin Street
24 in the southern part of Morwell?---Yes.

25 So Elgin Street runs between Maryvale Crescent and Hazelwood 03.47PM
26 Road?---Yes.

27 So that was obviously in an area quite close to the mine.

28 That's a 51 person facility and 40 of the beds are high
29 care beds? Does that sound right?---Yes.

30 There are two other residential aged care facilities I've 03.47PM
31 identified, one is the Heritage Manor Aged Care which

1 is in Maryvale Road on the northern side of town, and
2 Mitchell House which is in Vary Street?---Yes.
3 Heritage Manor is the largest, it has nearly 100 beds,
4 approximately a third of those high care, and Mitchell
5 House is a hostel and it has about 56 low care beds. 03.48PM
6 Are there other facilities in Morwell residential aged
7 care facilities?---I'm sorry, I'm unable to answer that
8 question; I just do not have that information with me.
9 You mentioned a little while ago that that was an issue that
10 you were managing along with others. How did you go 03.48PM
11 about ensuring that these collections of people in a
12 vulnerable group were receiving the advice and
13 assistance that they needed?---We communicated with
14 them directly - that is, the aged care branch of the
15 Department communicated with all residential aged care 03.49PM
16 providers and with the Commonwealth, who is their
17 primary funder, regulator, licenser and inspector and
18 accreditor and whatever; whether they're public or
19 not-for-profit or private sector organisations. So all
20 residential aged care facilities were contacted on or 03.49PM
21 about 21 February. Particular focus was made
22 predominantly through the region on St Hilary's because
23 it was in the area considered to be at highest risk.
24 Eventually Bapcare decided that, on our advice, but it
25 is its own decision, it decided to relocate and did so 03.49PM
26 very successfully to other facilities within its broad
27 purview, rather than having to have alternative
28 facilities found for its residents.
29 Was that relocation undertaken after the Chief Health
30 Officer's advice on 28 February or before?---It 03.50PM
31 actually relocated after. There had been quite a lot

1 of conversation with St Hilary's about what were its
2 wishes in relation to relocation. To that point in
3 time it had decided to stay in place; it did not want
4 to relocate is my distinct recollection.

5 Were you engaged directly in these discussions or was this 03.50PM
6 advice that's been provided to you?---No, that was
7 through the aged care branch and the region, as you
8 might expect.

9 There are also a number of older people living at home who
10 access home and community care services?---Correct. 03.50PM

11 How was information provided to those people and to the home
12 and community care service providers who visit them in
13 their homes?---There are several home and community
14 care providers in the Morwell area; the most important
15 of which is Latrobe City Council. Our HACC team within 03.51PM
16 the aged care branch directly liaised with those
17 providers and particularly Local Government. What the
18 end result of all that was, was that they were offered
19 resource - and I can't detail that - but they were
20 offered resource to ensure that all clients who 03.51PM
21 required additional help were given additional help,
22 and that they all had what are called welfare checks;
23 that is, at the time of visit or at the time of contact
24 how they were going was determined.

25 That does pick up a lot of what I call 03.51PM
26 vulnerability people in the community; doesn't
27 necessarily pick up everyone, because somebody who was
28 vulnerable for one reason might not be vulnerable for
29 another set of reasons and so it goes on, but it is a
30 pretty good substitute for people in the group of 03.52PM
31 elderly, dependent and potentially chronically ill

1 about whom we care. That's separate from the door
2 knocking which Latrobe City Council primarily
3 conducted, though it did so in conjunction with Red
4 Cross and others in the particular area of Morwell that
5 is called the southern part of Morwell, I think is the 03.52PM
6 only term I would use to describe it anyway.

7 After the advice was provided by the Chief Health Officer
8 that people in vulnerable groups should consider
9 temporarily relocating, are you able to say what steps
10 were taken to those receiving home and community care 03.53PM
11 to assist them to relocate if they wished?---I think
12 that fits into the general category of extended
13 services and welfare checks. These things occurred
14 more or less concurrently. The reason - I don't wish
15 to distract the Inquiry at all, but the reason we do 03.53PM
16 not use the term "evacuation" is that the Department of
17 Health actually has no power to evacuate people; the
18 Chief Health Officer cannot evacuate people.
19 Evacuation is a very special term that is used only
20 under very specific circumstances and needs to in fact 03.53PM
21 be a matter for the Minister for Police and Emergency
22 Services and his colleague Ministers.

23 We can recommend relocation, and we did, it's an
24 advisory only, and we worked hand-in-hand with our
25 colleagues in the Department of Human Services to 03.54PM
26 ensure that, from the moment that advice is given,
27 there are financial opportunities for people to take
28 up; that's not respite grants, they came earlier, but
29 relocation packages, so it's really important to
30 understand these things have to happen concurrently. 03.54PM
31 It's no good recommending people relocate if they

1 haven't got the financial capacity to do so. Questions
2 about the adequacy or otherwise of that I can't address
3 but these things happened concurrently. By no means
4 everybody chose to relocate.

5 If I can ask you to pause there. Is your evidence that the 03.54PM
6 health advice that was being provided, and this may be
7 a matter that's better explored with Dr Lester, was
8 contingent on there being an assistance package
9 available?---I think the other way round; I think that,
10 if my - not if. On 27 February a meeting late in the 03.55PM
11 day of the State Crisis and Resilience Council
12 addressed the issue of the decision that Dr Lester had
13 come to about relocation of the most vulnerable in the
14 community to be applied the following day. At that
15 point in time it became necessary for DHS to very 03.55PM
16 quickly identify how it was going to provide relocation
17 grants and to whom, and in effect it's the other way
18 round. So in fact that was more or less how it
19 happened.

20 It's not a unique decision of the Department of 03.55PM
21 Health; it's a decision of the whole of Government or
22 those people represented at the State Crisis and
23 Resilience Council Meeting, which is most of
24 Government, and that was then further consulted the
25 following day when I was actually here on the 28th, the 03.56PM
26 day of the announcement, with Local Government in -
27 actually across the road in the Department of Justice
28 building.

29 Just to be clear, the distinction that you draw between
30 evacuation and relocation is that evacuation is 03.56PM
31 compulsory?---That's correct. I think my reason for

1 not wanting to use the term "evacuation" is because it
2 implies compulsion, and we actually have not got any
3 legal basis to compel people to leave their homes,
4 their businesses or anything of the sort. There are
5 very limited specific powers under the Public Health 03.56PM
6 and Wellbeing Act which allow for things like the
7 absolutely reverse of that, the compulsory detention of
8 people within a place.

9 Quarantine of people, yes, we don't need to go
10 there?---Well, quite the reverse, so they're a very 03.57PM
11 different set of powers.

12 But in fact the case is, Professor Brook, that there's no
13 power in Victoria to compulsorily evacuate someone from
14 their home if they don't want to go?---Well, that's
15 right. 03.57PM

16 So it's a bit of a distinction without a difference, is it
17 not?---Yes, I can accept that. I can accept the
18 argument; my point is that, we always try to do
19 everything on the basis of best possible advice, what
20 is good for you, the basis of why you may choose to do 03.57PM
21 this. I just simply put that.

22 But it's the compulsory connotation, if you like, that leads
23 you and those who work with you in the Department of
24 Health to avoid the word "evacuation"?---It's a source
25 of discomfort, that, you know, running around 03.57PM
26 compelling people without specific powers is something
27 that people who are working - people work in the
28 Department of Health because they care. People work in
29 the healthcare system because they care, not for other
30 reasons, so it is that connotation. 03.58PM

31 Moving to communications and community engagement, I said

1 I'd get there eventually. You've set out in
2 paragraphs 70 and onwards in your statement the various
3 steps that were taken by the Department of Health to
4 communicate with the community and engage with it. I'd
5 like to take you back a step to a theoretical level. 03.58PM
6 There was a White Paper published by the Victorian
7 Government at the end of 2012. I'm sure you're
8 familiar with it, the Victorian Emergency Management
9 Reform White Paper, and it starts with a discussion of
10 the importance of community in emergency 03.59PM
11 management?---Yes.

12 The first chapter is headed "Community". There is
13 discussion on the first page of the fact that the
14 conventional top-down approach to emergency management
15 is changing. Can you read that, Professor Brook, or 03.59PM
16 would you prefer to have it provided?---No, I can read
17 it on the screen.

18 If we can stroll down a couple of paragraphs to the
19 paragraph that starts on page 4, chapter 1,
20 "Community". There's a paragraph there that really 03.59PM
21 encapsulates, "The conventional top-down approach to
22 emergency management is changing. Governments in
23 Australia and around the world now recognise the
24 importance of local involvement in emergency
25 management, particularly in planning and mitigation." 04.00PM
26 Then in the following column under the heading,
27 "Engaging the community", there is discussion of the
28 way in which community resilience can be established,
29 "by ensuring that people in the community are fully
30 engaged." 04.00PM

31 Commissioner Lapsley spoke in his evidence about

1 the importance of engaging with the community before an
2 emergency happens so that emergency responders and
3 those supporting them know the trusted networks in the
4 community and have ready access to them. Now, is that
5 all philosophy that you are familiar with and
6 adopt?---Well, not only adopt but absolutely adopt. If
7 you allow, I'll just put that in a level of context.

04.00PM

8 The thing called "communication" in my view, it is
9 my view, has at least two levels. One level that
10 applies in all emergency management situations is the
11 transmission of fact. That fact is necessarily based
12 on content-rich information which usually comes from
13 one departmental source or another. It is usually
14 presented through mass media and in conventional
15 manners, and I think as has been clearly enunciated
16 again and again by this community, that approach even
17 to fact didn't effectively reach all members of the
18 community.

04.01PM

04.01PM

19 So, can I distinguish just that from the question
20 of community engagement, because I think community
21 engagement, again in my view, is the mechanism by
22 which, whether it's fact or simply information, is able
23 to be made readily available to members of the
24 community in an engaging way and that the can actually
25 help them understand, if there is a lack of
26 understanding, or simply offer information if there is
27 a lack of information, or to deal with conflicting
28 information. Heaven only knows in most emergency
29 management situations there is a sea of information,
30 often conflicting.

04.02PM

04.02PM

31 Community engagement I consider to be a very

1 different thing than the presentation of fact. I also
2 consider it the area where the greatest potential
3 exists - and I think I say this more or less in my
4 statement - for betterment of how we approach community
5 information or communication into the future. So, from 04.02PM
6 the top there's didactic directive information that is
7 not going to work in most communities.

8 I do take the view that every community is
9 different. I do take the view that communities are not
10 defined by any means solely by the demographics, just 04.03PM
11 as you may have said that not all health issues are
12 captured by health service utilisation. There are many
13 different characteristics in different communities and
14 we see different characteristics quite frequently in
15 emergency management. 04.03PM

16 The only way that I believe you can engage
17 properly with the community is at the local level. For
18 that to occur effectively there needs to be a totally
19 joined up approach at the local level, so in other
20 words, all agencies need to be engaged at the local 04.03PM
21 level, and I think that's done relatively well in some
22 instances but not always. I think that the terms that
23 are used in the resilience statement and the terms that
24 are most widely used identifying networks - that's
25 networks that exist, it's not artificial networks, it's 04.03PM
26 not the creation of different networks, it's networks
27 that exist and identifying trusted leaders is a
28 critically important task.

29 So that's the theory. How is that being translated by the
30 Department of Health in its emergency management 04.04PM
31 practice? How does that actually happen on the ground

1 in the Latrobe Valley?---I think that both my statement
2 and the statement of the Chief Health Officer give an
3 indication of the sorts of, if you like, activities
4 that were undertaken and, as I say, I think that you
5 will see that they largely followed the two different
6 paths that I am talking about. 04.04PM

7 There was a lot of engagement or a lot of
8 attempted engagement at the regional level and that
9 involved multiple parties; whether it involved the
10 right parties or not is a question for further 04.04PM
11 discussion and, may I suggest, quite possibly further
12 research.

13 One of the questions which I cannot answer is, if
14 you want to have a regularised source of information
15 about local networks and who are the local trusted 04.05PM
16 leaders, where is that information sourced from?
17 Because it isn't clearly something about the Department
18 of Health, certainly this is far broader than the
19 Department of Health, so where would you look to have
20 that information gathered, and in the spirit of 04.05PM
21 community resilience, which is the ideal that the world
22 pursues, there needs to be a local capacity to identify
23 and provide that information no matter what the
24 circumstances are.

25 We've had evidence from several community witnesses and it's 04.05PM
26 consistent with the messages that were delivered during
27 the community consultations, that the CFA did community
28 engagement very well, which may be a function of the
29 fact that it's a volunteer organisation, with members
30 living in the community. Other departments, including 04.06PM
31 the Department of Health, were not marked as

1 favourably. Have you reflected on why that is the case
2 and where there is room for improvement?---I think
3 there's a number of statements to make, so I'll make
4 them.

5 That's why you're here?---The first is that, as I mentioned 04.06PM
6 earlier, the Department of Health is actually a small
7 entity that sits in the City of Melbourne and through
8 regional offices. When people look to trusted sources
9 of information, they don't necessarily reflect on the
10 fact that Ambulance Victoria is the Department of 04.06PM
11 Health. The Latrobe Regional Hospital is the
12 Department of Health. The Latrobe Community Health
13 Centre is the Department of Health. The Local
14 Government through its tax service providers are the
15 Department of Health. 04.07PM

16 That's not what you told us at the start of your evidence,
17 Professor Brook?---No, I said they're our workforce, so
18 let me be clear that they are our arms and legs. So
19 you get quite interesting differences of view. We've
20 seen this before and we will continue to see it, and so 04.07PM
21 it is important for us to reflect on that and ourselves
22 start making clear - well, you know, we have tried to
23 do this, we have tried all forms of communication and
24 this has been tried across the whole of Government,
25 it's not just the Department of Health. 04.07PM

26 It's important to get messages out there from the
27 outset and I think this can only occur locally, that
28 these are our trusted sources of information. I also
29 think that, because the Department of Health is often
30 personified in this instance in the form of the Chief 04.07PM
31 Health Officer, that they see that as the only

1 expression or engagement of the Department of Health.

2 So that takes me to my second point: The Chief
3 Health Officer has an absolute requirement to be in
4 excess of 99 per cent correct in everything she says.
5 There is no tolerance for bad information or for 04.08PM
6 unfactual information or for lack of evidence when the
7 Chief Health Officer makes statements; that is factual.
8 So, industries can suffer, communities can suffer if
9 that information is wrong. Others have more
10 flexibility and more opportunity to say, oh no, I was a 04.08PM
11 bit wrong, if you like, or whatever, that's just a -
12 but the Chief Health Officer actually has to provide
13 crisp factual information and not stray beyond it.

14 So there is a perception about the nature of the
15 Chief Health Officer at times, which I don't support, 04.08PM
16 which is that they don't understand or that they're
17 simply trying to say things that is unacceptable for a
18 particular community. I would hope always that the
19 Chief Health Officer is seen as the most senior source
20 of advice, professional advice, to Government and the 04.09PM
21 community and that their advice can and should be
22 trusted intuitively. If that's not the case, then
23 obviously that needs to be addressed. However, in this
24 instance it's hard to know how many different ways we
25 might have tried; we certainly tried every known 04.09PM
26 communication method - I mean across Government, I
27 don't just mean the Department.

28 You strayed a fair way from the question I put to you, which
29 was, we started this discussion with a discussion of
30 the philosophy about the importance of engaging the 04.09PM
31 community and identifying trusted networks in advance

1 of an emergency?---Yes.

2 I asked you how that theory had translated into the

3 Department of Health's practice here in the Latrobe

4 Valley. Had that exercise been undertaken in the

5 Latrobe Valley before the fire started?---The reality 04.10PM

6 is that none of us can ever know where the next

7 emergency management event will be or indeed what it

8 will be. I think it's very honest of me to say that,

9 remembering that I take the view that this is actually

10 across the whole of Government, this is not 04.10PM

11 department-specific. The new emergency management

12 arrangements are barely in place. The discussion about

13 local resilience and how to identify networks and

14 communities of interest is about in the same place as

15 the discussion about vulnerable people was in 2009; it 04.10PM

16 is at the beginning. So, who identifies - my earlier

17 question is very important - who is it that is charged

18 with identification in the new emergency management

19 arrangements of local networks and trusted local

20 leaders? 04.11PM

21 So the answer to my question is, no, that work hadn't

22 started in the Department of Health prior to the fire.

23 The fire, I suggest, has been a learning experience for

24 the Department of Health and you must now have a better

25 idea of where those trusted networks are. What's your 04.11PM

26 assessment of where they may be?---I'll answer that

27 question by saying that I've never engaged in an

28 emergency management event where there haven't been

29 important learnings, and I've engaged in a lot of them.

30 If we stopped learning from emergency management events 04.11PM

31 then we really have lost opportunities at the very

1 least. This is not different from others, and yes,
2 clearly this is a critical question for what happens
3 next in relation, not just to Morwell, but to any
4 community who might face a major emergency event; there
5 could be flooding next time round, more likely fire,
6 but you are right, this is at its beginning.

04.12PM

7 Yes, so we're all here to extract what learnings we can from
8 what happened in February and March. In relation to
9 community engagement, the situation is that, despite
10 all the things that you list, the community witnesses
11 we've heard from and the outcome of community
12 consultations was that the Department of Health's
13 message was not well received. Leaving aside the
14 Community Health and Assessment Centre which was a
15 great success and a very welcomed measure, what have
16 you learned? What would you do differently in the
17 Latrobe Valley in the future?---Well, I hope it doesn't
18 happen again, but that's just a hope. I think that the
19 whole of Government - I repeat, community engagement
20 cannot be about the Department of Health. If it's seen
21 as the Department of Health, we've again missed a
22 really important lesson. It actually has to be the
23 whole of Government, it has to be totally joined up and
24 it has to work at the very least much more strongly
25 with Local Government.

04.12PM

04.12PM

04.13PM

04.13PM

26 I don't want to be putting further burdens on
27 Local Government, I understand how unpopular that is,
28 but if ever there was a place in the local community
29 who should have knowledge of local networks and
30 leaders, it is Local Government. I think that we
31 should be providing communications/expertise, into

04.13PM

1 events of this sort rather than seeing
2 communications/expertise as existing separately and
3 over and above or different from the local resources.

4 I do not contemplate myself as an expert in
5 communication theory, but I suspect that what I say 04.13PM
6 does resonate with others.

7 So, stronger connection with Local Government?---Stronger
8 local organisation, much stronger local effort at
9 community engagement, all Departments; whether it be
10 Emergency Service organisations - - - 04.14PM

11 I'm asking you about the Health Department and what the
12 Health Department is going to do differently in future.
13 One trusted network that you've not identified are the
14 general practitioners in the Latrobe Valley; that seems
15 to be an obvious starting point for both receiving 04.14PM

16 information about the demands on their services but
17 also providing information to the community?---Indeed,
18 I think I've said that we have made very distinct
19 efforts. We both communicate with and request
20 information from, it's not a one-way street, so we 04.14PM

21 always provide information to general practitioners and
22 I think you'll find that in the witness statement of
23 the Chief Health Officer the steps that we took to work
24 through Medicare Locals, the College of General
25 Practitioners and others, and as far as is possible 04.15PM

26 whenever directly to make sure that general
27 practitioners had information available to give to
28 members of the public. Sometimes I think you are quite
29 correct in saying that can be a very powerful
30 communication instrument. 04.15PM

31 There's just one other area I'd like to ask you about. You

1 talk in paragraph 78 of your statement about the fact
2 that the communication of health information to the
3 community always presents a challenge in an emergency
4 situation?---Yes.

5 But really, that is a fundamental part of the Department of 04.15PM
6 Health's role, is it not, to be able to do that?---At
7 risk of boring you with repetition, I have stratified
8 that thing called communication into DH-specific
9 activities, which actually are about the transmission
10 of factual information in a manner that largely 04.16PM
11 involves mass media, press conferences, press releases,
12 fact sheets and other communications. You might call
13 that traditional but that is the practice in Victoria,
14 nationally and around the world in order to transmit
15 factual information. 04.16PM

16 I distinguish that entirely, that is DH's strict
17 public health role, I distinguish that entirely from
18 the concept of community engagement, which in the end,
19 I repeat, has got to be all Government and it really
20 has to be local, it really has to be tailored to each 04.16PM
21 community, but I'm not sure I can give you a
22 prescription as to how to make that happen. It's that
23 that will engage and ensure that messages get through,
24 the facts are understood and that a context and,
25 hopefully, reassurance is provided. 04.16PM

26 You remark on the need to convey complex medical and
27 scientific information. Was the health message in this
28 instance that complex?---It was complex in the sense
29 that it was disbelieved. I have heard many statements
30 made by community members, this came out of community 04.17PM
31 consultations and I think it's come out of witness

1 statements, that said, you know, there was conflicting
2 information or we didn't trust the information or -
3 now, that makes communication of factual information
4 very, very difficult indeed.

5 In that context the message that was transmitted 04.17PM
6 from the outset was, smoke is harmful for particular
7 groups in the community in particular, and smoke of any
8 sort - and remembering my concept of how this fire
9 actually evolved and changed - smoke puts older people,
10 people with cardiac respiratory disease particularly, 04.18PM
11 pregnant women, young children, people with chronic
12 disease in general at risk.

13 The message that I think created difficulties, and
14 this does take us on to the question of the long-term
15 health study was that, if you recognise that there is 04.18PM
16 short-term risk from exposure to smoke and particularly
17 particulate matter, does that lead to long-term health
18 effects?

19 And the answer was, we don't know?---In the end the answer
20 is that there is a clear gap in the evidence and that 04.18PM
21 led us to the concept of a long-term health study,
22 10 year study at least, and hopefully that will answer
23 some of those questions; notwithstanding that I cannot
24 sit before you and say that a long-term health study
25 means that in four weeks' time or in four months' time 04.19PM
26 I can tell you what the long-term will bring, that's by
27 its nature long-term.

28 The health message to be communicated in this instance was
29 not that complicated; it was, inhaling smoke is bad for
30 your health, we do not know the long-term effects of 04.19PM
31 inhaling smoke that is present at Morwell and

1 surrounds, it's especially bad for vulnerable groups,
2 we can identify those, the best thing to do is to get
3 out of the smoke. That's not a complicated message, is
4 it?---I actually think that is the message that was
5 transmitted, with one exception, and that is that a 04.19PM
6 distinction was drawn between the evidence of
7 short-term exposure to smoke as opposed to the evidence
8 of long-term exposure to smoke. So, we know there's
9 ample, ample evidence, ample literature about the
10 harmful effects of short-term exposure to smoke, there 04.20PM
11 is ample evidence about the harmful effects of
12 long-term, many years, of exposure to air pollution
13 smoke and other - any particulate matter; there's a
14 gap.

15 And the answer is, we don't know the long-term effects of 04.20PM
16 exposure to the smoke that you're experiencing?---Yes,
17 the literature at best suggests that it's unlikely that
18 there are long-term effects, but you are right, there
19 is a gap and that's a gap that we're attempting to
20 close. 04.20PM

21 And it's that that the community had difficulty accepting.
22 Do you accept that?---I think that's part of what the
23 community have difficulty accepting, yes.

24 Thank you, I have no further questions for Professor Brook.

25 Do members of the broad have any questions? 04.20PM

26 MEMBER CATFORD: Professor Brook, could I just ask you about
27 the communication modalities. We've heard earlier in
28 the hearings and also from public submissions that
29 social media was a very powerful tool that was used to
30 distribute information in those early days, often 04.21PM
31 without commentary or interventions from agencies.

1 Does that suggest that we need to take this area much
2 more seriously, and indeed, to what extent should your
3 Department and others engage much more actively in
4 managing social media?---Can I take that question in
5 two parts. My first response is, if you look at the 04.21PM
6 evidence of the Chief Health Officer, and indeed if you
7 look at the evidence of the Chair of EMJPIC, you will
8 see that social media was in fact extensively used; you
9 know, Twitter and other things unpronounceable, were
10 extensively used to provide messages to the community. 04.22PM

11 The criticism that came back from that was that
12 there were significant parts of the community who were
13 not net connected or didn't have iPhones and were not
14 in receipt of those messages. That then got ought up
15 in this whole thing about demographics, although I 04.22PM
16 think they're not the same.

17 So one network may have been able to effectively
18 communicate digitally, by one means or another; that's
19 not to say that the message gets through using that
20 method from a communications approach, particularly a 04.22PM
21 central approach.

22 Don't forget that we also used paid media
23 advertising; when I say "we", I'm talking the whole of
24 Government. There was paid media advertising, there
25 was press, there were press releases, there were many 04.22PM
26 different aspects to the communication approach.

27 If the question is, should we be alert to social
28 media, the answer is yes. But moving on to the second
29 part of the question, controlling social media; isn't
30 that what it's not all about? Isn't that an anathema 04.23PM
31 for social media? So we can only hope to avail

1 ourselves of social media.
2 I will give you one example that was very
3 successful in a different kind of emergency and that
4 was the recent heatwave, Victoria's longest and indeed
5 hottest or highest mean temperature, where we made use 04.23PM
6 of the Seniors Registry to contact seniors on the
7 internet and got a remarkably high strike rate. I was
8 really impressed by that as a means of communication,
9 that we just hadn't with that group, we'd tried before
10 and in a sense it overcomes prejudices that say, this 04.23PM
11 group of people isn't necessarily net connected; they
12 sure are. So, there are different answers to your
13 question.

14 MEMBER PETERING: Professor Brook, we've had witness
15 statements and submissions from the community that 04.24PM
16 there were members of the community experiencing blood
17 noses, headaches, lethargy - members of the community
18 experiencing acute health issues and that there was
19 then messages by the Department that the situation was
20 okay, that there wasn't a problem in the community - I 04.24PM
21 can't sort of articulate the exact words, but that's
22 some of the submissions, that there was this difference
23 of what they were experiencing and what they were being
24 told, which then I think went to affect the way the
25 community was perceiving the element of trust portrayed 04.24PM
26 by the Department of Health.

27 Can you comment on that specifically? We've had
28 submissions and witness statements articulating that
29 there was no level of empathy or that there was, I
30 guess, a hearing that the community were displaying and 04.25PM
31 asking questions about their health that weren't being

1 addressed?---Yes. I've probably spoken enough about
2 the factual basis of presentation of the many forms of
3 factual advice that come from the Chief Health Officer
4 for particular reasons. I do want to make clear that,
5 whether it was in the context of bushfires or in the 04.25PM
6 context of smoke more generally, the first health
7 advice came in the EPA notice of 11 February, and that
8 was followed by a health alert on 13 February which
9 identified the problems that are associated with
10 short-term exposure to smoke. 04.25PM

11 So it's no surprise to me at all that people
12 suffered from a variety of effects. Those short-term
13 effects are caused by the nature of smoke, its irritant
14 nature, its relative acidity, but there were all form
15 of other messages out there in the community that were 04.26PM
16 causing high levels of anxiety. We've heard some of
17 them today. Some of them were about, for example,
18 heavy metals. Now it happens that Latrobe Valley brown
19 coal is not a pollutant source for heavy metals, it
20 just isn't, it's different from black coal which 04.26PM
21 commonly is, and it's different from coal in other
22 parts of Victoria.

23 So those sorts of messages didn't get out somehow
24 or were listened to in ways that made the trust message
25 more difficult. So perhaps I should avoid all that, 04.26PM
26 but simply to say, of course we recognise that people
27 are going to face short-term irritation, sore nose,
28 sore eyes, blood noses, dizziness, headache, all very
29 classic symptoms of smoke exposure, and that's why we
30 did actually see an increase - we expected to see, 04.27PM
31 frankly, a higher increase in attendances at medical

1 practitioners. That's also part of the reason why we
2 established the Community Health Assessment Centre.
3 Do you think the Department portrayed that empathy or that
4 understanding of those short-term impacts
5 effectively?---I think I've probably said enough about 04.27PM
6 my view of community engagement, which is where I think
7 that it plays to in the end. There are different
8 levels of communication for distinct purposes and we
9 need to get them both right.

10 All right, thank you. 04.28PM

11 MS RICHARDS: I'm reminded that I should tender the White
12 Paper on Emergency Management Reform. I think we're up
13 to exhibit 45.

14 CHAIRMAN: As part of the same exhibit?

15 MS RICHARDS: I think it might be useful to give it a 04.28PM
16 different exhibit number, there may be other witnesses
17 who are asked to comment on it.

18
19 #EXHIBIT 45 - White Paper on Emergency Management Reform.
20 04.28PM

21 MS RICHARDS: I believe Dr Wilson has some questions of
22 Professor Brook.

23 <CROSS-EXAMINED BY DR WILSON:

24 I have some short questions largely arising out of what
25 Ms Hamilton said. Professor, you heard Ms Hamilton 04.28PM
26 tell the enquiry that she wanted to know what was in
27 the smoke and that was of particular interest to her.
28 Do you recall hearing her say that?---I do.

29 Do you accept as a basic proposition that when communicating
30 to a broad community, you not only need to know how 04.28PM
31 best to get the message across, but what message to

1 convey?---Well, yes.

2 That's rather obvious, but you accept that?---Yes.

3 We've heard from various people who have given evidence

4 before you that the community was reached by a

5 collection of methods; Facebook, tweets, texts, TV 04.29PM

6 broadcasts, radio, public meetings, letter drop and

7 face-to-face contact. Accepting that, in your view in

8 terms of the method of communications, could any other

9 more effective method have been used?---The answer to

10 that is, it's hard to think of a different method, but 04.29PM

11 I will rely on my earlier answer to say that the use of

12 established networks and trusted leaders is something

13 that I believe we have to become in the business of

14 doing.

15 No doubt you'd repeat that answer if I asked you, when 04.29PM

16 trying to reach and communicate with an audience that

17 simply doesn't believe you, do you accept that you have

18 to find a circuit breaker in order for your message to

19 get across and be believed?---Yes, but I'm not going to

20 prescribe - not to misuse that term - a method, because 04.30PM

21 I think it does need some very careful research and

22 thinking.

23 In terms of the content of the message that was being

24 conveyed by the methods I mentioned to you a minute

25 ago, Facebook all the way through to face-to-face 04.30PM

26 contact, was the content of the method appropriate in

27 your view?---Notwithstanding my comments about the

28 imperative for making sure that there is factual

29 evidence-based information, there was other information

30 over which the Department had domain, I draw your 04.30PM

31 attention to the experience of the Community Health

1 Assessment Centre where essentially for 2,072 people it
2 was face-to-face provision of the same factual
3 information, provision in a different kind of trusted
4 environment by ambulance paramedics and nurses, both
5 trusted groups in the community. I personally think 04.31PM
6 that was the most effective piece of communication
7 which we as a Department undertook throughout this
8 entire campaign period and, after all, it did win an
9 award from the Association of Public Safety
10 Communication Officers of Australasia. 04.31PM

11 The precise title is at paragraph 84 of your statement,
12 public safety award from the Association of Public
13 Safety Communications Officials Australia?---Correct.
14 That was in respect of your work with the establishment and
15 activities associated with the Community Health 04.31PM
16 Assessment Centre; is that right?---Correct.

17 Finally, you - when I say "you" - is the Department in the
18 throes of its work for a long-term health study in
19 respect of this incident?---Absolutely.

20 Can you tell us a bit more about that please?---Sure. The 04.32PM
21 Department has spent some time looking at what the
22 nature of the long-term health study might be. This is
23 no trivial task, it is a 10 year study at least,
24 10 years because that's the limit of how we can really
25 procure, but it may be renewed thereafter. 04.32PM

26 There is always a problem when embarking on
27 long-term studies of what is baseline data, there is
28 always a problem of making absolutely certain that you
29 ask the right questions. If you put 10 years of effort
30 into something and you ask the wrong questions, then it 04.32PM
31 isn't really much good, so there's been a great deal of

1 effort and consultation, including expert advice, about
2 the nature of those questions. We've made very sure
3 that the people who have been consulted are not likely
4 to put their hand up to become tenderers for this
5 study.

04.33PM

6 We also engaged, after quite some internal
7 discussion, with the community; we wanted to know the
8 community's view, what they thought were the questions
9 that were most important in a long-term health study.
10 Probably No.1 of those concerns was long-term health
11 impacts on children and so that's been very informative
12 in terms of how we've shaped the study. That is pretty
13 much tender ready.

04.33PM

14 So the process from here on, once it obtains final
15 approval, is that that will be let by public request
16 for interest, or indeed straightforward tender, and we
17 would expect that, once we've selected the appropriate
18 short-listed tender, we'll be in active negotiation
19 about exactly how they would design the study, we're
20 not going to prescribe - I've used that term three
21 times - - -

04.33PM

04.33PM

22 I can understand that's not in the medical context?---We
23 will not proscribe how that study is conducted; we want
24 the best study we can get.

25 Were you satisfied that the EPA gave the Department all the
26 information that the Department needed about critical
27 health issues prior to 28 February when the Chief
28 Health Officer gave her advice and up to 30 March when
29 the community assessment was closed?---The Department
30 is - well, the Chief Health Officer is virtually
31 entirely dependent on data from the Environmental

04.34PM

04.34PM

1 Protection Agency about the nature of environmental
2 hazard.

3 I do not make any comment on the EPA other than to
4 note that there are two dates of importance; the first
5 is 16 February which is the date we first received 04.34PM
6 reliable information on carbon monoxide levels,
7 particularly in the community, and the second is
8 22 February when we first received reliable information
9 about PM 2.5 from the bowling club testing DustTrak -
10 not DustTrak, it's from the bowling club on PM 2.5 04.35PM
11 information. They are in the Chief Health Officer's
12 statement and I'll leave any further questions for the
13 Inquiry to her evidence tomorrow.

14 Thank you, Professor. Thank you, if the Board please.

15 MS RICHARDS: No re-examination. May Professor Brook be 04.35PM
16 excused, with my thanks?

17 CHAIRMAN: Yes, thank you.

18 <(THE WITNESS WITHDREW)

19 MS RICHARDS: Tomorrow's order of proceedings: Dr Lester
20 will be the first witness in the morning, then 04.35PM
21 Professor Donald Campbell will be called, and we have a
22 community witness, Annette Wheatland, who manages
23 Southern Cross Community Care here in Morwell.

24 CHAIRMAN: Thank you. We will resume at 10 o'clock tomorrow
25 morning. 04.36PM

26 ADJOURNED UNTIL WEDNESDAY, 3 JUNE 2014

27
28
29
30
31